

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF MICHIGAN
UTILITY CONSUMER PARTICIPATION BOARD

- - -

MEETING OF MONDAY, DECEMBER 1, 2014
12:40 P.M.

611 West Ottawa, 4th Floor
Lansing, Michigan

- - -

PRESENT: James MacInnes, Chairperson
Paul Isely, Board Member
Susan Licata Haroutunian, Board Member
Ryan Dinkgrave, Board Member
Michelle Wilsey, Board Assistant
David Shaltz, Residential Ratepayer Consortium (RRC)
Christopher Bzdok, Michigan Environmental
Council (MEC)
Don Keskey, Great Lakes Renewable Energy
Association (GLREA)
Douglas Jester, Citizens Against Rate Excess (CARE)
and Institute for Energy Innovation (IEI)
Laura Rauch, MISO
Carmen Clark, MISO
Jim Wilson, LARA
Shawn Worden, LARA
Allan Pohl, LARA
Susan Weber, LARA
Suzy Westmoreland, Michigan Electric & Gas
Ed Haroutunian, Member of the Public

- - -

REPORTED BY: Lori Anne Penn, CSR-1315
33231 Grand River Avenue
Farmington, Michigan 4833

1 MR. WILSON: Jim Wilson, LARA.

2 MS. WEBER: Sue Weber, LARA.

3 MS. WORDEN: Shawn Worden, LARA.

4 MR. JESTER: Douglas Jester on behalf of
5 both the Michigan Energy -- or the Institute for Energy
6 Innovation and CARE.

7 MS. WILSEY: Michelle Wilsey, assistant
8 to the Utility Board.

9 MR. DINKGRAVE: Ryan Dinkgrave, member of
10 the board.

11 MS. HAROUTUNIAN: Susan Licata
12 Haroutunian, Detroit, member of the board.

13 MS. WESTMORELAND: Suzy Westmoreland,
14 Michigan Electric & Gas Association.

15 MR. HAROUTUNIAN: Ed Haroutunian, member
16 of the public.

17 MR. POHL: Allan Pohl, director of
18 finance for LARA.

19 MR. MacINNES: Okay. We'd like to get an
20 approval of the agenda here and consent agenda with one
21 change. We'd like to move up the discussion on UCPB fund
22 finances ahead of the MISO update. And other than that,
23 I think that the agenda would remain the same.

24 Do we have a motion to approve the
25 consent agenda with that change?

1 MR. ISELY: So moved.

2 MR. DINKGRAVE: Support.

3 MR. MacINNES: Is there any discussion?

4 All those in favor, please say aye.

5 BOARD MEMBERS: Aye.

6 MR. MacINNES: Opposed, same sign.

7 Okay. Well, I guess we're going to start
8 with you, Allan.

9 MR. POHL: Start with me.

10 MR. MacINNES: You sent us some very
11 interesting reading material here on the process.

12 MR. POHL: Good, you got it. I was asked
13 to talk about the budget process for the state and for
14 the board; it's more of an education session than
15 anything.

16 The budget process, I'm going to use
17 fiscal year '16 as an example, which we're working on
18 right now. The state's fiscal year runs from October 1
19 of each year through September 30 of the following year.
20 Prior to that, there's a number of items and meetings and
21 things that take place. For instance, we actually begin
22 the budget process roughly 14 to 15 months before the
23 fiscal year begins. The state budget office holds a
24 meeting among departments and their budget people, that's
25 the kick-off meeting, and it's basically an economic

1 forum type meeting where they go over the state of the
2 economy, the State of Michigan's economy, and so on, and
3 then they get into any changes in the budget development
4 process from the previous year.

5 There's a number of items that have to
6 take place as we go forward. For instance, in each
7 appropriation bill there's language at the back end of
8 each bill, each department's bill, it's called
9 boilerplate, there's various sections of that that
10 legislators put in or the Governor's office recommends
11 that language be put in on unique items within the
12 budget. It's, probably in our area, it's probably five
13 or six pages, probably 30 or 40 different subsections
14 that make up that boilerplate. Those -- any changes we
15 want to make on that boilerplate, if we want to take
16 items out or add additional items, we have to have that
17 information to the state budget office by the end of
18 September.

19 In October we meet with the Governor and
20 go over any investment requests we want to ask for. We
21 also have to submit those to the state budget office.

22 In early November we have to submit our
23 current service baseline budget, which is essentially our
24 current-year budget and then plus any adjustments we want
25 to make at that point. That's due to the state budget

1 office in early November.

2 Any changes, such as enhancements, if
3 there's not enough GF/GP revenue, general fund/general
4 purposes, GF/GP, if they believe revenues are going to be
5 down, they'll give us a number that we have to meet. And
6 in most cases, for instance, for fiscal year '16, we had
7 to come up with a half-percent reduction, which in our
8 department -- and it doesn't affect the board because the
9 board is all state-restricted funds -- but in our
10 instance, we had to come up with \$750,000 less in our FY
11 '16 budget than what we have in the current year.

12 If we want to make any changes in
13 revenue, such as fee proposals, you know, right-sizing
14 our fees or increasing our fees to increase costs and so
15 on, we have to have that information to the budget office
16 also in early November. Departments that have any
17 building requests, such as colleges and universities,
18 they fall under the capital outlay bill. If they're
19 planning any enhancements to their buildings and so on,
20 they have to submit capital outlay requests to the state
21 budget office by mid November.

22 Along with that, there's the federal
23 revenue pictures. We have to submit to the legislature
24 also by the end of November what we believe our federal
25 awards are going to be for the fiscal year '16. So all

1 of that comes together in late November.

2 We also have to estimate our state-
3 restricted revenues, as well as our estimated spending
4 for the following year, and two years beyond that. We
5 just submitted that, right, Shawn, about a week ago, and
6 it included how we closed the books for fiscal year '14,
7 what we estimate our revenue and expenditures to be for
8 '15, but we also had to estimate '16 and '17, so we're
9 out that far already.

10 There's a number of other things that go
11 into the budget process, such as we have to supply the
12 budget office with current organization charts,
13 descriptions of all of our programs in the department,
14 and those are due in the budget office by middle of
15 January. And then also during January the legislature
16 and the Governor's office have what's called a revenue
17 estimating conference. The contract with University of
18 Michigan, as well as the Department of Treasury comes in,
19 house fiscal and senate fiscal, and between the four of
20 them, they all agree on what the GF/GP revenue picture is
21 going to look like, not just for the current calendar
22 year, but out a year or so. Once that's completed, the
23 Governor recommends -- or does his budget recommendation
24 to the legislature, that's roughly in early February, I
25 believe it's the second week in February.

1 Then we go to what's called the first
2 house. There's a first house action, and what happens is
3 within the -- within both the senate and the house,
4 there's is subappropriations committees for each
5 department, assigned for each department. Departments
6 have to meet with those subappropriations committees to
7 go over the Governor's recommendation for fiscal year
8 '16. Those begin in February and March in the first
9 house. And I shouldn't even say that anymore because the
10 last few years they've done them simultaneously, so both
11 the senate subappropes committee and the house
12 subappropes committee schedule meetings roughly at the
13 same time. It used to be they alternated years and they
14 finished one house first and then went to the second, but
15 the last few years, they're working at the same time.
16 The subappropes committees wrap up their work usually, at
17 least recently, by the end of April, and then in May
18 there's a second revenue estimating conference where the
19 numbers are finalized.

20 From that point on, the Governor gets
21 together with the legislative leadership and they develop
22 target-setting for the GF/GP estimated revenues that are
23 coming in. That determines how much each department is
24 going to get of the GF/GP appropriation. That's usually
25 done by late May, by Memorial Day. And then they have a

1 joint conference committee after that where both
2 representatives from the house subappropes committee and
3 senate subappropes committee get together and they
4 finalize or agree on both of their versions of the
5 budget, what the final version is going to look like. At
6 that point, once they agree, it goes to the floor in each
7 chamber, they approve it, and it goes to the Governor for
8 signature. In the past few years, that's been done by
9 the end of June. Some years it's gone right up until
10 almost October 1 of the budget year, but last few years
11 it's been relatively quiet again.

12 So that's the process in a nutshell. I
13 know I don't want to take too much time, otherwise I'm
14 going to bore you.

15 But as far as the board goes, since your
16 revenue is derived from assessments, it's all state-
17 restricted money, all state-restricted revenue, but you
18 can only spend up to your share of that revenue that we
19 discussed at the meeting a couple meetings ago. I don't
20 have estimates for what we're going to collect next
21 calendar year yet, but it's, in most cases it's going to
22 be slightly more than what came in this year.

23 So I guess that's all I have at the
24 moment. I tried to keep it brief.

25 MR. MacINNES: Are there any questions

1 for Allan?

2 MR. POHL: You're letting me off easy. I
3 know you all want to get to MISO.

4 MR. MacINNES: We do, but some of us
5 still have some questions.

6 MR. POHL: That's fine.

7 MR. MacINNES: We need to get, you know,
8 really get a good handle on how much we're allowed to
9 spend. And do you have any updates on that for us?

10 MR. POHL: I'm finalizing the statements
11 for fiscal year '14 at the moment, I'm really close on
12 that. I also want to -- I want to get the, be able to do
13 October's and November's of the current fiscal year at
14 the same time. What happens in the accounting, in the
15 year-end closing process is management and budget won't
16 transfer the ending balances until after Christmas, but I
17 can back into them, and that's what I'm working on right
18 now.

19 MR. MacINNES: So do you have -- for
20 purposes of today, we're going to have to be making some
21 decisions on grants.

22 MR. POHL: Right.

23 MR. MacINNES: And so we need to know the
24 best information available right now on how much money we
25 are in the hole already to decide how much we're going to

1 grant.

2 MR. POHL: If you'll let me run back to
3 my desk, I'll give you a good estimate.

4 MR. MacINNES: Could you come back and do
5 that?

6 MR. POHL: Yeah, I can do it real quick.
7 I'd like to say it's between 200,000 and 300,000 net that
8 you have available without asking the Attorney General
9 for anything.

10 MS. WILSEY: Just to clarify, I think
11 there's two numbers: One is the current, the current
12 revenue available for fiscal '15, like a 572 number or
13 something --

14 MR. MacINNES: Right, 572, and then
15 you've got to subtract what was over-obligated in the
16 prior year.

17 MS. WILSEY: But using that, then the
18 over-obligation is what we're looking for, the 260-ish
19 number.

20 MR. POHL: Right.

21 MS. WILSEY: I believe so. Okay.

22 MR. MacINNES: So yeah, we need to
23 know -- in other words, we're already over-obligated
24 based on the money that's taken in; is that correct?

25 MR. POHL: Technically, no, because the
Metro Court Reporters, Inc. 248.426.9530

1 revenue that came in the current calendar year is used
2 for the following fiscal year, but because you over-
3 obligated in fiscal year '14, that's got to come off the
4 top of what we collected.

5 MR. MacINNES: Right.

6 MR. POHL: I guess we're --

7 MR. MacINNES: So we're in the hole

8 200 --

9 MR. POHL: At the end of fiscal year '14,
10 about 200 some thousand.

11 MR. MacINNES: So we need to know what
12 that number is.

13 MR. POHL: Okay.

14 MR. MacINNES: Because we're going to
15 have to pay the AG back, right, based on what --

16 MR. POHL: Whatever you borrow from the
17 AG, you have to pay them back.

18 MR. MacINNES: Yeah, the discussion we
19 had two meetings ago, we're going to need to pay the AG
20 back, and so we need to figure out what's a reasonable
21 payment schedule and how much more deficit we want to
22 incur, if any. I'm not a deficit kind of guy myself as a
23 business owner, so I don't like that. So I like to get
24 out of deficits as quick as I can, within reason, you
25 know. We don't have to pay it all back in one year, but

1 we need to know better information on that. Could you
2 help us with that?

3 MR. POHL: I can have it in two minutes.

4 MR. MacINNES: Okay.

5 MR. POHL: I just have to run to my desk
6 and get the spreadsheet right now.

7 MR. MacINNES: That would be great.

8 Thank you.

9 I think this is going to be a really
10 important part of our decision-making today, to find out
11 how far we are in the hole. Those of you that have the
12 copy of this may have read how the state doesn't want you
13 to spend money that you don't have, and they said that a
14 couple of times I think, and I actually think that's a
15 good thing to do, to not spend money you don't have,
16 unless you can handle, you know, borrowing, and it's not
17 too much and all, I mean that you have a plan to pay it
18 back and all of that. So that made a pretty -- when I
19 read this, that was my big takeaway from that packet
20 here. So I think what we need to do is know what --
21 about where we are, and then we can decide how much more
22 we want to go into the hole, so to speak, for this year.

23 MR. ISELY: But we aren't in the hole
24 yet, right?

25 MS. WILSEY: Well, again, notwithstanding
Metro Court Reporters, Inc. 248.426.9530

1 the fact that the board had no intention or idea that it
2 was in the hole, it was an interpretation of the AG's
3 office of their share, okay. So based on their
4 interpretation, in this fiscal year '15, we have not
5 overspent current revenues. That was the thing. But in
6 past years, they said we've accrued some overages. So if
7 we do anything more, it would add to that.

8 MR. MacINNES: Right. And this all came
9 about in -- was this two meetings ago when we found out
10 this?

11 MR. ISELY: It was August.

12 MR. MacINNES: August meeting.

13 MS. WILSEY: The second August meeting,
14 late August meeting.

15 MR. MacINNES: We thought we had 950,000
16 to spend, and we only had 5 --

17 MS. WILSEY: We thought we had 902,5.

18 MR. MacINNES: The 902, and we found out
19 in August we only have 500 some.

20 So anyway, what is our -- what do we owe
21 the AG?

22 MR. POHL: These are preliminary, okay.

23 MR. MacINNES: Yes.

24 MR. POHL: Technically on your grant
25 balance, you're over-obligated by 220,000 or so, that's

1 in the ballpark.

2 MR. MacINNES: Okay.

3 MR. POHL: You've -- we have revenue that
4 came from during this calendar year for grants, which is
5 47 1/2 percent of the overall assessment of \$572,257. So
6 the difference between those two is what's available for
7 grants before you have to borrow against -- from the
8 Attorney General.

9 MR. MacINNES: And how much would that be
10 about, do we know? For future, for this year -- so this
11 would take us -- in other words, my question is, how much
12 more can we grant in this year without taking on
13 additional debt with the AG's office?

14 MS. WILSEY: The 35.

15 MR. POHL: About 35,000.

16 MS. WILSEY: We've already made grants.
17 The remaining is 35,000.

18 MR. POHL: Okay. You know, I don't know
19 what --

20 MS. WILSEY: You don't know that part.
21 But based on the grants that have been made out of fiscal
22 year 2015, and that was in the summary e-mail, just so
23 you have that number, current revenues minus amount
24 granted, 35 and change left.

25 MR. MacINNES: That's for the whole -- so
Metro Court Reporters, Inc. 248.426.9530

1 let's make that real clear. So we can spend for the rest
2 of this year, all the way through the end of September of
3 the coming year, from now until September, end
4 September 30, we spend \$35,000 in grants without going
5 into more debt with the AG's office; is that correct?

6 MS. WILSEY: Right.

7 MR. ISELY: Correct.

8 MR. POHL: Right.

9 MS. WILSEY: That's inclusive of all
10 grants, cost of service, plus others; not including any
11 additional grant requests. So any additional grant
12 requests would be the 35 and a decision by the board
13 whether to extend the debt in this 2015, and then the
14 payback would start coming out of the fiscal year 2016.

15 MR. MacINNES: Right. And so and the
16 revenue we take in, you're saying for 2015 -- 2014, it
17 was 572, roughly?

18 MR. POHL: Right.

19 MR. MacINNES: That was in 2014?

20 MR. POHL: Calendar year '14.

21 MR. MacINNES: And then so -- okay. So
22 that's kind of the ballpark of what we're looking at in
23 future years, plus a little bit maybe?

24 MR. POHL: The formula is based on the
25 Detroit Consumer Price Index, so whatever percentage it

1 goes up is what the formula would go up.

2 MR. MacINNES: So it might be up -- what
3 percentage has it gone up in the past?

4 MS. WILSEY: Been kind of flat, hasn't
5 it?

6 MR. POHL: It's been flat the last few
7 years.

8 MS. WILSEY: It might tick up a little
9 bit, but --

10 MR. MacINNES: So it's 580,000 for --

11 MS. WILSEY: Yeah.

12 MR. POHL: Roughly 580 for next year is
13 what I would estimate.

14 MS. WORDEN: Yeah, I would say it's been
15 going up 6 or 8, 9,000. It's not very much.

16 MR. MacINNES: So that will be what we'll
17 have available if we don't want to go into additional
18 debt in 2016, something on that order, right?

19 MS. WILSEY: Yeah. And for the fiscal
20 year '15, we used the 572,257 number just to be safe.

21 MR. POHL: Thank you.

22 MR. MacINNES: So our decision is going
23 to have to be -- we already owe the AG's office \$220,000.

24 MR. POHL: No, you don't. You don't owe
25 the Attorney General. I wouldn't say you do, only

1 because --

2 MR. MacINNES: Well, we've overspent
3 according to what Michael Moody said, and I haven't --
4 you know, I contacted Valerie Brader about it, she has
5 not changed, you know, coming up with any other --

6 MR. POHL: Solution.

7 MR. MacINNES: -- solution that I'm aware
8 of. And so as far as I know, we owe the Attorney General
9 \$220,000, that's how I understand it.

10 MR. POHL: Well, let me -- as soon as we
11 get the detail in what's been granted out the previous
12 meeting, I'll finalize it for you. Michelle might be
13 right.

14 MR. MacINNES: But for now, we need a
15 ballpark. I mean we don't have to have it exact to the
16 last penny right now, but if it's somewhere around there,
17 I look at, okay, we're -- we owe the AG's office
18 \$220,000. That's what I'm hearing right now. Unless
19 somebody disagrees. I'm just trying to get a handle on
20 this, I want to make sure that everybody in the board
21 understands this because of this whole way the accounting
22 issue that we had in August. So if that's the case, then
23 we got \$35,000 yet to spend until September 30 of 2015,
24 and without owing anymore. And so then our board is
25 going to have to decide, do we want to go into further

1 debt with the AG's office, and if so, how much. And then
2 at the same time, think about how -- what's a reasonable
3 payback period, because they want to be -- they told us
4 they're going to be, give us leeway, but they told us
5 they wanted the money back, it's not a grant. So that
6 means -- and we were talking somewhere around a four-year
7 payback. So if we owe them \$240,000, let's say we
8 granted an extra 20,000 over and above the 35, then that
9 would be 260,000 that we owe them, and if we did a
10 four-year payback, that would be about 60,000 a year that
11 we're going to have to start taking away --

12 MS. WILSEY: From current revenue.

13 MR. MacINNES: -- from current revenue
14 for the next four years, which is about a little more
15 than 10 percent of current revenues. So it's like, you
16 know, just thinking about, it's like what's reasonable.
17 We probably don't want to go way high because then we're
18 going to have to cut our current revenues substantially,
19 but if we cut our current revenues by 10 or 12 percent,
20 maybe that's a -- I don't know what the number is, but
21 this is what our board needs to kind of grapple with is
22 like what's the right amount for us to take on. I think
23 it's a really important question. What's the right
24 amount for us to take on in additional debt to the AG's
25 office, figuring that we are going to have future needs

1 and we have future obligations over the next, say, four
2 years, what's a reasonable payback time? Four years is
3 probably -- I mean we talked about that with Michael
4 Moody. So that seems like reasonable to me. I mean we
5 could do more or less I suppose. And what's a good
6 amount -- I look at it as a benchmark; what's a
7 reasonable percentage of the money we get each year that
8 we could take and pull out without hurting ourselves too
9 much for the next four years? So that's the kind of
10 calculus I think we need to go through.

11 Anybody have any other comments or
12 questions for Allan about that? Any other thoughts on
13 that before we get into the process here of -- we have a
14 fund request before us, not right at the moment, but we
15 will soon as we get the MISO presentation.

16 MR. ISELY: And that 220 didn't include
17 any of the COS case, right?

18 MS. WILSEY: Again, 220 is the number
19 prior to fiscal year '15.

20 MR. ISELY: Right.

21 MS. WILSEY: So fiscal year '15 and the
22 current grants from the 572,257 or whatever --

23 MR. MacINNES: Including the COS.

24 MS. WILSEY: -- includes all of the COS
25 monies that have been granted.

1 MR. MacINNES: And we have 35,000
2 unspent. So including the COS and what we've already
3 granted for 2015, we've got 35,000 left to spend; is that
4 right?

5 MS. WILSEY: In current revenue.

6 MR. MacINNES: Current revenue.

7 MS. WILSEY: Without extending the
8 overage.

9 MR. ISELY: Okay.

10 MR. MacINNES: Everybody on board with
11 that, understand that? Anymore thoughts about that or
12 while we have Allan here, maybe, you know --

13 MS. WORDEN: I have one. I'll know the
14 assessment amount at the end of March, because February's
15 figures are posted in the beginning of March, so by the
16 end of March.

17 MR. MacINNES: Okay. That will be good.
18 Well, for now, you know, we're probably -- this is
19 probably going to be a moving target, that we're probably
20 going to have to true this up periodically, and I get
21 that and that's fine, we can do that. Obviously the
22 better number we have, you know, the closer, Allan, that
23 you can give us on that number is very helpful, but I
24 think if we have a ballpark, we can start to make a plan
25 on how we're going to handle our deficit, pay it back and

1 continue to do business here.

2 MR. POHL: I can probably have you
3 something before Christmas, that will be the final report
4 for --

5 MR. MacINNES: That would be great.

6 MR. POHL: -- fiscal year '14, and then
7 the first two months of this year.

8 MR. MacINNES: But for now we're going to
9 just use the 220 I think.

10 Okay. Unless there are other discussion
11 items or thoughts or questions, then I think we can --

12 MS. WILSEY: Thank you for taking the
13 time to be here.

14 MR. MacINNES: Thanks, Allan.

15 MR. POHL: Yeah.

16 MR. MacINNES: Okay. Now we have these
17 two lovely ladies from MISO here which are going to talk,
18 they're going to talk with us about resource adequacy,
19 which is a very important topic, especially these days
20 here in Michigan, and progress on the MISO Transmission
21 Expansion Plans, which have been ongoing for several
22 years. So take it away.

23 MS. CLARK: My name is Carmen Clark.
24 Again, I am the regional manager of our central region,
25 so I handle the states of Michigan and Kentucky

1 currently, so trying to keep on top of what's going on in
2 the State of Michigan. My former life, I used to be in
3 what we call our resource adequacy group, so I was
4 involved with, previously, the monthly auction that we
5 had, I was also involved in developing the policies and
6 technical aspects of the current annual construct that we
7 have in resource adequacy for MISO, and now I moved into
8 more of a customer relations sort of role where I'm
9 handling all the issues of Michigan and Kentucky, and
10 sometimes it will span into some of our other states as
11 well on what's happening with MISO in general with the
12 footprint on all of our different zones, 1 through 7,
13 plus 8 and 9 in the south. But that's sort of a
14 background on me.

15 And what we're going to cover first is
16 we're going to give an overview of MISO, just generally
17 on what MISO is, what MISO does, what does it mean, and
18 then I will give sort of some highlights on the resource
19 adequacy, what we're doing right now, and Laura will give
20 sort of an update on the MTEP status. And please feel
21 free throughout the presentation to ask questions as we
22 go along, we don't have to wait until the end. So if you
23 have a question on something that we're presenting at
24 that time, just go ahead and fire away. Okay.

25 Again, this is sort of our high-level

1 agenda with MISO: What does MISO mean; what does MISO
2 do; resource adequacy; what's going on with MISO as far
3 as resource adequacy; Laura will cover the MTEP process,
4 and then we'll take questions as we go along.

5 So this is sort of a nice map of MISO's
6 role. As you can see, you see these transmission lines,
7 and it's circled up at the top, because this is what MISO
8 does, we handle sort of directing the energy on the
9 transmission lines. And then if you follow the arrows,
10 you go through a distribution, which mainly is mainly
11 your local type of utility, and then that utility, you
12 see the poles down there, which basically says, well,
13 then they transfer that and they do substations and that
14 goes through what we use today as electricity in our
15 homes. So MISO's level of involvement is the first layer
16 there with getting the generation, transmitting that
17 through our transmission system, and making sure that
18 when we go home, when we flick our lights, they come on.

19 MR. MacINNES: Now, is that generally
20 over 100,000 volts that you're involved? Is there a
21 cutoff on the voltage?

22 MS. RAUCH: It's typically 100 kV and
23 above. We deal with transmission, some areas do have
24 transmission that is less than 100 kV, but in general,
25 the rule of thumb is 100 kV and above is under our

1 control.

2 MS. CLARK: Go to the next slide, please.
3 Just to give you, also, just the magnitude of customers'
4 megawatts, so end-use customers would be like you and I,
5 about 42 million within our footprint, and from this
6 slide you can see the highlighted regions, so the blue
7 region is what we consider our north region, the green
8 region is our central, and the red is what we call our
9 south region in MISO. We have approximately a demand of
10 126,000 megawatts, and our transmission miles of line
11 covers about 66k.

12 When we start talking about resource
13 adequacy, a lot of times we're talking about load and
14 generation. So we look at demand and we look at
15 generation and we look at the capacity, and currently the
16 capacity for generation is about 176,000 megawatts, and
17 year-to-date, we have over 400 market participants, we
18 just reached actually 400 market participants I want to
19 say earlier this spring. So that means that we have
20 anything from load-serving entities to independent power
21 producers to municipalities to co-ops, and we consider
22 those particular entities as market participants, so we
23 have about 400 plus across our footprint. And then from
24 an energy market, you hear a lot about the day-aheads and
25 the realtime energy, we have about 2.5 billion a month in

1 energy transactions, and that's between different
2 parties. So there's a party that needs to buy energy
3 through MISO's portal, there's a party that wants to sell
4 it, and we are sort of, we link the two together; we
5 don't buy, we don't sell, but we make it possible for
6 those that want to do those transactions to do those
7 transactions via our portal.

8 MR. MacINNES: I have a question.

9 MS. CLARK: Yes.

10 MR. MacINNES: So would a power plant
11 that is independently owned that's an LMP node, would
12 that be a market participant?

13 MS. CLARK: Uh-huh, yes.

14 Okay. Again, MISO's main thing is that
15 we're independent, we are a nonprofit, but we're just
16 mainly responsible for the transmission reliability of
17 those that are members to MISO.

18 This is some historical information about
19 we've got approved by FERC, we are regulated by the FERC,
20 our tariff we have to file is mainly with FERC, we get
21 that approved by FERC; we make changes, depends on how
22 often we need to make policy changes, but whenever we
23 need to change our tariff, we do have to get that
24 approved, we can't just change the tariff without any
25 approval from the -- FERC is considered the Federal

1 Energy Regulatory Commission, that's the commission in
2 Washington, D.C. A lot of times when we make those
3 tariff changes, we do have procedures through our state
4 code or working that process that we would go through and
5 sort of bring those issues before those state coders to
6 implicate [sic] the changes that we're making, and then
7 there's a timeframe where we file it. Sometimes we can
8 get an order from FERC on saying, yeah, we agree, we can
9 get it in, you know, typically we ask for 60-day, we can
10 get it -- sometimes we may not get the order for years.
11 I think one of the big orders that we're waiting on right
12 now with, we call it Order 1000, which is talking about
13 the transmission planning between, you know, different
14 RTOs and on the regional basis, we are still waiting to
15 get an order, and I think we filed something, what was
16 that, like last year around July or something like that
17 we filed our compliance order, and we're still waiting
18 for FERC to give us something. So it really depends on
19 the magnitude of it. With it being a regional planning
20 piece of it, it's bigger because it also touches our
21 neighboring RTOs, which is PJM and then SPP to the south.

22 And our role for MISO is basically that
23 we make sure that the grid is reliable. So we want to
24 make sure at any given time that we don't -- what we
25 don't want to have is outages on our grid. We want to

1 make sure that all the time that energy is flowing from
2 our power plants down to our houses. So we want to make
3 sure that, at least from that perspective, that our
4 transmission grid stays reliable, there's nothing that's
5 interrupting that, and we want to make sure that our
6 policies are also conducive to making sure that we ensure
7 the reliability.

8 MR. MacINNES: And energy doesn't stop at
9 the state lines, right?

10 MS. CLARK: Right, exactly. There's no
11 point I'm at this, you know, I'm at mile marker 100, I'm
12 stopping, no; you have to continuously keep it flowing
13 because you can -- a lot of times you think that maybe
14 something's concentrating in one area, but it's really
15 not, it has sort of a multiple impact on the system when
16 you go from one place to the other.

17 And as I mentioned before, MISO, we don't
18 generate anything, we sort of just handle to make sure
19 the transmission can happen between the power plant to
20 your local utility company, and then they kind of handle
21 all the poles that you usually see in like some of the
22 residential neighborhoods or your commercial accounts if
23 you're a business owner or Walmart store or things like
24 that, they handle that.

25 So this is sort of still what we do and
Metro Court Reporters, Inc. 248.426.9530

1 what our role is. Again, we're independent. Some of the
2 bigger thing is that we're independent. We do want to
3 make sure that we deliver reliability services to our
4 customers, we want to make sure that our market is
5 efficient, are we providing the lowest cost of electricity
6 to our customers. And we want to make sure that we're
7 doing the planning on a regional basis, so we're looking
8 at things holistically, we're not just looking at things
9 in a local area, but we need to look at things from a
10 regional standpoint just to make sure that we are
11 answering the questions and we're providing the service
12 for all of our customers all the time.

13 MR. MacINNES: Could you talk to us for a
14 minute or two about your governance structure?

15 MS. CLARK: Our governance structure,
16 basically we have a -- we have the board, and under the
17 board we have different committees, and then we have
18 stakeholder working groups. So when you hear us
19 mentioning about stakeholder working groups, such as the
20 loss of load expectation working group could be one, that
21 particular working group will report to a committee, and
22 I think that's the market subcommittee, and then those --
23 and those committees report up to the board. So it's the
24 board, the committees, and then the stakeholder working
25 groups, and that's the structure of how we get things

1 done in MISO.

2 MS. RAUCH: Yeah. And to put a finer
3 point on it, our board of directors is an independent
4 board of directors, they are elected by our members, and
5 we're just increasing that to a nine-person board of
6 directors; we used to have seven, we'll be electing two
7 more. So they help guide our process.

8 So like I've worked a lot with the system
9 planning committee of the board of directors, and they're
10 the subgroup that really looks, are we planning
11 correctly, and later we'll talk about their principles.
12 But it's are you following your process as written in
13 your tariff. Each of our stakeholder forums helps the
14 board of directors understand that, but they're also
15 stakeholder forums in two ways: Not only are they open
16 to public stakeholders, but they're led by stakeholder
17 chairs as well.

18 So we have planning advisory committee
19 which looks at the planning processes, we have
20 subcommittees which look at technical details. We are
21 very heavily invested in our stakeholders and making sure
22 we get the right input from them across the board on all
23 of the planning markets operational issues we face on a
24 regular basis.

25 MS. HAROUTUNIAN: I have a question.

1 Does that mean that each state, which I assume are your
2 stakeholders, has representation in all of this and input
3 in all of this?

4 MS. RAUCH: We work very closely with the
5 states. There's actually an Organization of MISO States,
6 or OMS, that works as a committee, and state regulatory
7 commissions is a sector in our process. But a lot of
8 what Carmen's job and her whole group's job is to make
9 sure we're working well with our states.

10 MS. HAROUTUNIAN: And do states have
11 people participating or not?

12 MS. RAUCH: Absolutely. We'll have
13 commissioners participating, we'll have regulatory staff
14 participating as well. In my previous job I did
15 transmission planning, and we'd have Michigan subregional
16 planning meetings, and usually we had probably five to
17 ten Commission Staff at those meetings. So the state
18 staff is very involved.

19 MS. HAROUTUNIAN: Okay. Thank you.

20 MR. MacINNES: And you also have utility,
21 load-serving entities as parts of your stakeholder group
22 of some --

23 MS. RAUCH: Yes. We have probably nine
24 sectors, state commissions, load-serving entities,
25 independent power producers, end-use, transmission

1 owners, and environmental, I'm missing a few there.

2 MS. CLARK: We have the TD, the
3 transmission developer sector, that's the two that just
4 got added, we have that. We do have a consumer advocate,
5 I want to say, sector as well.

6 MS. RAUCH: And the transmission-
7 dependent utility sector is probably it. So we have --
8 in some of our committees, we have formal voting
9 structures where we make sure each segment of the MISO
10 customer base or MISO stakeholders has a voice and has a
11 vote, even though that voice may be .1 percent yes, .2
12 percent no, and .7 percent abstain.

13 MR. MacINNES: So do the utilities, the
14 big utilities, IOUs, have a big say in this process?

15 MS. RAUCH: It's a balancing act. We try
16 to look at what each of our members say to get input from
17 each of those, and then at the end of the day, we try do
18 what's right. In stakeholder forums, we do often ask for
19 motions and votes, but they are advisory. So that's part
20 of getting back to what Carmen was saying about
21 independent. We spend a lot of time listening to
22 stakeholders. At the end of the day, we have to make
23 sure we're considering all viewpoints and doing what's
24 right.

25 MR. MacINNES: And obeying the laws of
Metro Court Reporters, Inc. 248.426.9530

1 physics.

2 MS. RAUCH: Laws of physics are very hard
3 to break, so we try to make sure to follow those as
4 closely as possible.

5 MS. CLARK: First and foremost. Yeah, so
6 the questions about involvement from the commission
7 staffs and if it's a vertically integrated utility, those
8 are -- everyone's welcome and has definitely voice in our
9 stakeholder process, we don't exclude anyone from not
10 participating. Even if you're not a member of MISO, even
11 if you're someone, a consultant type of role and you're
12 not a member of MISO, all of our information is public
13 pretty much, depending on some of the technical task
14 forces, you know, you have to have a nondisclosure
15 agreement, but pretty much you're open to participate on
16 any of our committee calls and stakeholder working group
17 calls, so everything is open to not just our membership
18 list, but those that just want to educate themselves.
19 Sometimes it's just a college or university that wants to
20 look at, you know, some of the power planning type of
21 things, and they're welcome to participate as well.

22 MR. JESTER: If I may, just for the
23 board's information, CARE, supported by the grants you've
24 given, has participated and specifically fit within the
25 public consumer representative sector that she mentioned,
Metro Court Reporters, Inc. 248.426.9530

1 as well as participating in appropriate of the work
2 groups.

3 MS. CLARK: Are there any further
4 questions?

5 Okay. Moving on to the nitty-gritty of
6 this presentation: Resource adequacy overview. We have
7 a lot of things right now coming into play that we're
8 really looking into what's going on with MISO's resource
9 adequacy program, not just the piece of generation load,
10 but what are some of the policy things coming down the
11 pipeline implementing -- we'll go from left to right.

12 Up here you can see MATS, and we have the
13 nature of the regulation. What it stands for is Mercury
14 and Air Toxics Standards that's coming on board. A lot
15 of -- some of the retirements that we've been talking
16 about, you probably heard about this in the media, FERC
17 filings, units retiring due to MATS, basically deciding
18 if they're going to spend the money to upgrade their
19 units to comply with some of these EPA regulations, or if
20 they will decide to just retire them because they feel
21 like these upgrades that they would have to do would not
22 be economically in their best interest to do so. So
23 that's been some of the biggest things that have been
24 discussed lately in public forums and our stakeholder
25 working groups and our committees is the upcoming MATS.

1 MISO does have a process for if units do
2 retire, they are required to give MISO six months'
3 notice; this is called our Attachment Y process. MISO at
4 that point look at that particular unit and determine if
5 it's needed for reliability purposes. If we determine
6 that it is needed for reliability purposes, we will then
7 go into what is called a system support resource and deem
8 that resource as being needed for reliability so to
9 prolong the, to extend the retirement so that until we
10 come up with another solution, we go through with what we
11 call a system support resources, and there's payment
12 involved for keeping those resources to those customers
13 on board, but that's something that you've probably been
14 hearing about in the media more so than anything about
15 compliance with EPA regulations with the MATS.

16 We also have what we call the CSAPR rules
17 coming up as well that will also impact what some of our
18 market participants decide to do with their units.

19 And then the recent 111(d) has been a big
20 topic of discussion on the Clean, the Clean Power Act,
21 and this is for the carbon dioxide for new and existing
22 units. And basically new units will start having to
23 comply with those new rules beginning in the '15-'16; and
24 beginning in 2020, existing units are on par to try to
25 come up with ways to deliver cleaner power. The EPA has

1 proposed some different time lines to start that. MISO
2 recently filed comments as of I want to say November 25
3 on, yeah, we understand from the EPA perspective this is
4 something that you're requesting to happen, but the, sort
5 of the disconnect was with the implementation; is the
6 implementation a reasonable amount of time for states and
7 other utility companies to go towards a clean power
8 plant. And they set out this timeline that says so much
9 from renewables, you want to eliminate the carbon dioxide
10 that we're emitting from our plants, but we have to look
11 at from a timeline perspective, is this reasonable.

12 Because when you take a power plant out
13 of service, you have to look at -- we have to look at
14 the, for MISO, what's the reliability piece of this
15 implementation, and if there's some transmission
16 implication to it. So you can't just take the power
17 plant out of service, you've got to look at the whole
18 system, the grid, and say, well, we're taking this out of
19 service, what does this mean for our grid. And it is not
20 just easy as unplugging something. You have to figure
21 out, okay, if I unplug this, do I need something in its
22 replacement; and then the other side of that, and if I do
23 this, what is the timeframe that I need to get this
24 replacement done?

25 So looking at something, next year's

1 2015, looking at trying to figure out solutions in five
2 years is quite a tight deadline for a lot of companies to
3 make. And so our comments were really based upon the
4 implementation of these existing units in particular, you
5 know, when they're trying to figure out a generation
6 solution, a transmission solution, or most of the time
7 it's both. You know, five years' planning may not be
8 enough time for those solutions to come into play when we
9 need stuff on the system right now.

10 MR. MacINNES: Of course, one could also
11 argue we've been talking about these rules for some
12 years, so it's not like, oh, it's a new rule, we got five
13 years to do it. I don't know how you address that.

14 MS. RAUCH: Yeah. And that's something
15 that's interesting, because I agree, I mean these rules
16 have been being talked about for quite a while. And what
17 I've heard, for better or for worse -- MISO doesn't have
18 really a position here, we're more concerned about
19 reliability -- but folks have trouble planning until they
20 know the exact details of the rules, because -- and in
21 some aspects they've -- I've heard comments saying that
22 if you plan ahead of time, you might be penalized by
23 rules because they'll take your previous plan as your
24 base point, whereas if you hadn't done the easy fixes,
25 you'd be starting from a more toxic place and so have an

1 easier path to get there. Now, you can talk about
2 societal benefits there, but I think that's -- until you
3 see these finalized, it's very hard for people to know
4 how should I act and how quickly.

5 So our main concern is really if --
6 especially with some of the interim measures, if you have
7 an interim goal, does that really give you a good first
8 step, or is that first step 90 percent of the way there,
9 and so at the end of the day, you really have to take
10 drastic steps to get there that might turn the lights
11 off.

12 MR. JESTER: I've just got a followup
13 question. In your transmission planning in particular,
14 at least for the last several years, you've always had
15 several planning scenarios that you evaluated plans
16 against. How did the EPA proposal under 111(d), the
17 Clean Power Plan, compare to the range of scenarios that
18 MISO had previously considered; was it within or outside
19 of that range?

20 MS. RAUCH: Again, until you know the
21 details, it's hard to say. I would say the 111(d)
22 proposal that we saw come out is above and beyond the
23 planned retirements we were previously anticipating,
24 however, it's still very much a work in progress. We did
25 a specific study on 111(d) really earlier this year

1 because that's when we had the information to analyze it
2 fully. So while we try to bind things with our future
3 scenarios, and I think we captured some of the aspects,
4 we didn't necessarily capture the complete picture. And
5 the other thing is those future scenarios look at system
6 economics quite a bit, they don't look at reliability
7 violations associated with individual generation
8 retirements, and that's really the near-term concern for
9 111(d) is if a particular plant goes off line, can the
10 system -- can the lights stay on in the area around its
11 providing voltage support, or do we need to keep it all
12 in line, and what's the economic impact of that?

13 MR. JESTER: But had you or had you not
14 had scenarios that anticipated this level of reduction in
15 carbon emissions?

16 MS. RAUCH: I'd have to look, and I can
17 get -- I can e-mail out the details. I don't know if we
18 actually had, certainly not by 2020, the level of
19 reductions that we are currently anticipating.

20 MR. JESTER: Thank you.

21 MR. MacINNES: And part of that is maybe
22 you could explain the N -1 criteria in that reliability.

23 MS. RAUCH: So one of the things that we
24 plan to on a reliability basis is we plan to what Jim
25 said is an N -1 scenario, and that is take the system as

1 it is with everything, perfect day, everything's online,
2 take one generator, one transformer, one line out of
3 service and make sure the system's reliable.

4 What you're looking at when a generator
5 retires, though, is you're looking at an N -2, which is
6 having two units out at your starting point and you go,
7 so you're taking one step back from the happy spot we'd
8 like to be at because you have this generator which may
9 be a critical facility out of service and then taking
10 additional system pieces out on top of that.

11 So I'd say we would look at this, but I
12 don't know that we studied -- again, it's going, and if
13 you plan for two units out, if you have a generator out
14 in the area, you're not planning for three units out, and
15 so on. So it's interesting watching the dynamics that
16 change as you receive particular generator outage
17 requests. And it's not something we necessarily want to
18 speculate on, certainly not publicly, is that a
19 particular generator might be retiring, because there's a
20 lot of lives that are impacted by that, and until the
21 actual owners have made that decision, we don't want to
22 cause undue worries that people might not have their job
23 if they, maybe they're fine for 5, 10, 20, 40 years from
24 now.

25 MS. CLARK: And I think to add to that, a
Metro Court Reporters, Inc. 248.426.9530

1 piece of this Clean Power Plan involves the state
2 submitting information on what they have, and so that's
3 another missing piece that we don't have right now, the
4 states are working on their plans, and so it's like a
5 holistic view. As I said before, we have, Laura
6 mentioned the generation: Are they doing anything about
7 it; are they going to retire? And then we have the state
8 planning, because each state is responsible for
9 submitting their own plans on how they want to comply
10 with the Clean Power Plan, and it's still a moving piece
11 because once the state plans come into play and once
12 those get finalized, and then we'll probably go in and
13 look at things again to say, okay, so now the state plans
14 are in, what is it going to do, and those have not been
15 finalized as well. And then you still have the
16 generation piece with retirements. We give
17 information -- we only give information where we've
18 looked at retirements that have been approved, we don't
19 really look at, you know, speculatively, we can't really
20 say that, yeah, we've got, you know, 12 gigawatts,
21 whatever that number is, that may be retiring, but when
22 we start looking at actually at cost and benefits and
23 things like that, what MISO has to do, we have to look at
24 things that we have approved as retirements, and again,
25 those retirements of units don't have to give MISO only

1 six months' notice. So as you can see, every six months
2 these numbers could still be changing, and then once you
3 get the state plans in, there's another change to
4 consider when we start looking at our studies.

5 MR. MacINNES: And we saw that with
6 Presque Isle.

7 MS. CLARK: Uh-huh, yeah.

8 So this slide represents -- we divided
9 MISO into two different regions; again, it's central and
10 north, and the south region. And these particular
11 numbers were driven by -- we have started doing an annual
12 OMS survey. Laura mention the Organization of MISO
13 States with the different state commissions
14 participating, but we did this based upon, well, let's go
15 and do a survey with our load-serving entities looking at
16 load and generation and looking at some of the outer
17 years and what does that mean long-term planning part.
18 So when we did this survey, we looked at central and
19 north, and then south region. And this is based on 2016.
20 So this is going to -- this is based upon the planning
21 year beginning June 1 of 2016, ending on May 31 of 2017,
22 just to put it into perspective.

23 So what this shows is that our central
24 and north regions will have a shortfall of 2.3 gigawatts,
25 plus there's an additional 1.1 gigawatt, there's a

1 current plant located in MISO that is going to PJM in
2 2016, so you have to add those two numbers together, and
3 you get about a, I think it's really about a 3.3
4 gigawatts, it's not quite 1.1, and we had a surplus of
5 the south at 2.5 gigawatts. So this is just saying that
6 an over -- in an overall system, when we look at 3.3 and
7 2.5, we do look like we're having, as far as a capacity,
8 the reserve margin shortage, we have that in 2016 as a
9 result of the OMS survey result. So this is just saying,
10 based on the information that we have currently from the
11 survey, Attachment Y information, this is what MISO's
12 projecting. We will also be updating these numbers I
13 want to say in the spring of next year --

14 MS. RAUCH: Finalizing.

15 MS. CLARK: -- and publish -- finalizing
16 again in June on the 2016 just to make sure that there's
17 nothing else that changes with the Attachment Y or
18 anything else going to PJM that we don't know about. But
19 basically we'll -- we're going to keep on going on with
20 this process because what we feel like we need to do from
21 a company is look at this and keep everyone abreast of
22 where we're at, because this became a big topic. I think
23 some people were shocked to find out that the
24 implications of retirements and EPA and MATS and all
25 those things were going to have an impact on MISO as a

1 total system when typically we're so used to seeing
2 reserve margins in the 20-percent range, and now we're
3 seeing those ranges decrease with companies deciding to
4 retire those units and other companies deciding to I'm
5 not going to do all these upgrades to get the unit, to
6 have the unit going, I just don't -- it might not be
7 economical for us to do so. But we wanted to report this
8 information out as a result of our survey so that people
9 can understand what some of the implications are to the
10 MISO footprint as a whole.

11 And then we also, the next slide will go
12 through what it looks like for a state-by-state -- not
13 state-by-state, but by zones. And so Michigan is
14 actually two different zones, but we, you know, today
15 we'll look at Zone 7, which is mainly the Lower Peninsula
16 of Michigan. But this gives you an idea of this is what
17 we, based on the information that we have today, this is
18 the current projection.

19 MR. MacINNES: I think Chris Bzdok had a
20 question.

21 MS. CLARK: Sorry, Chris.

22 MR. BZDOK: So I understand the blue
23 chart, the blue bar on the central and north region. And
24 then the tan bar, the 97.9, is that a peak demand
25 projection?

1 MS. CLARK: Yes.

2 MR. BZDOK: And then the reserve of 14.5.
3 How do you, roughly speaking, determine how much reserve
4 margin as a percentage of demand you need in a particular
5 year?

6 MS. RAUCH: You want to skip to that
7 slide?

8 MS. CLARK: Yes.

9 MS. RAUCH: Can you flip ahead a few
10 slides.

11 MR. BZDOK: So that's my first question.
12 And my second question, which maybe is related, is how
13 does that level of reserve margin in 2016 that you're
14 projecting you need, how does that compare with the
15 levels of reserve margin you've projected historically.

16 MS. CLARK: So we'll go -- we'll go ahead
17 and go through this slide. So basically when we
18 determined, we determine the reserve margin as part of
19 our loss of load expectation working group, and we
20 determine it, basically our standard measure in MISO is
21 one day in 10 years. I'm sorry. We determine our
22 reserve margin through our loss of load expectation
23 study, it's called LOLE, and we determine that reserve
24 margin based upon our standard of one day in 10 years.
25 And one day in 10 years, as you can see, hard to see from

1 the chart, it's like 14.8 percent I believe in the 20 --
2 that's the 2016 plan year. So we determine that through
3 our, through the one day in 10 standard, and we determine
4 what the reserve margin should be based on that
5 particular information. And what we do is we look at our
6 peak demand that we have for MISO's system, our total
7 peak demand, and we basically say, well, based on the
8 peak demand and based on the planning reserve margin that
9 we determine, we determine if it's, just say if it's
10 90,000, or 100,000 is probably a better example, if we
11 determine that our peak demand was 100,000 and our
12 reserve margin was 10 percent, so we would say 10 percent
13 of 100,000, that means that that's the amount that we
14 need to keep in reserves to make sure that we maintain
15 the one day in 10.

16 MR. BZDOK: How do you determine the
17 10 percent, though; is that the one day in 10? In other
18 words, that's like the amount of outage -- that's sort of
19 like you're laying a peak demand on a peak outage?

20 MS. RAUCH: No. So what we do is we
21 start with what we call a 50/50 forecast, so this is a
22 peak forecast that we think there's a 50-percent
23 likelihood that it's going to be higher, 50-percent that
24 it's going to be lower.

25 MR. BZDOK: Okay.

1 MS. RAUCH: Then we do a series of
2 probabilistic of Monte Carlo simulations where we look
3 at, take actual generator data, find out what their
4 forced outage rate is, and we take a lot of this kind of
5 deterministic data and use it to do a probabilistic
6 analysis of what the future may look like. So when we
7 say it's .1 day per year, it's actually the amount of
8 generation required to have that, the probability of loss
9 of load each day add up to one day in 10 years. So it's
10 a probabilistic simulation starting from an average peak
11 load. But you can go up to -- and we'll do simulations
12 up to a 90 percent, 90/10, which is there's a 10-percent
13 chance that the load will be higher, 90-percent chance
14 that it's going to be lower. We don't worry too much
15 about the other end of the spectrum because you have
16 enough generation for it.

17 MR. MacINNES: So this is based on the
18 50/50 analysis?

19 MS. RAUCH: Yes, sir.

20 MR. MacINNES: So when you say like one
21 day in 10 years, that's your benchmark, right, 14.8
22 percent, so .1 days per year. Now, when you say -- let's
23 take -- when you say -- let's take the one day in 10
24 years scenario. Does that mean you're out for the whole
25 day, does it mean you're out for 15 minutes, what's the

1 outage time?

2 MS. RAUCH: So it would actually be
3 the -- it's not -- great question by the way. It's not
4 that you are out for a whole day, it's that each day, you
5 have that likelihood of being out. So the sum of all
6 your peak days in our simulation gets to be -- your
7 probability adds up to one day in 10 years.

8 MR. MacINNES: So it could be that that
9 one day in 10 years could be, could equate to you were
10 out 15 minutes for one day in 10 years --

11 MS. RAUCH: So it --

12 MR. MacINNES: -- or an hour?

13 MS. RAUCH: No, it's actually -- so it
14 would be over 10 years you are out peak hours a sum of 24
15 hours, so you're out one hour one year, one hour the next
16 year. It is -- keep in mind this is a peak construct, --

17 MR. MacINNES: Right, right.

18 MS. RAUCH: -- and so this doesn't look
19 at your storm outage, this doesn't look at some of your
20 forced outage situations.

21 MR. MacINNES: Right. But I'm still
22 trying to get a handle on this. One day in 10 years, so
23 that -- so what that means, then, is that that's the
24 equivalent of a 24-hour day every 10 years; is that
25 right? I'm trying to understand that. What does that

1 mean?

2 MS. RAUCH: It's the equivalent of, over
3 a 10-year period, would you sum up to an outage -- your
4 peak time you would be out because you don't have enough
5 generation for a total of 24 hours.

6 MR. MacINNES: For all the peak times
7 over 10 years --

8 MS. RAUCH: For all the peak times over
9 10 years.

10 MR. MacINNES: -- would add up to 24
11 hours of peak times over 10 years?

12 MS. RAUCH: Yes.

13 MR. MacINNES: Okay. That's what I
14 wanted to understand.

15 MR. BZDOK: And I think my question is
16 much dumber than Jim's. 14.8 percent, then, represents
17 the amount of generation on the system that is randomly
18 out in that one in 10 year sort of probabilistic day?

19 MS. RAUCH: It's the reverse. It's the
20 amount of capacity over and above your demand you need to
21 have so that your --

22 MR. BZDOK: To deal with your one in 10
23 year peak set of outages?

24 MS. RAUCH: Yes.

25 MR. BZDOK: Okay.

1 MS. RAUCH: So that your risk of having a
2 general -- of having insufficient generation to meet load
3 is equal to that one day in 10 years.

4 MR. MacINNES: So let's try it another
5 way here, just to make sure I got this. So .1 -- let's
6 do it on a per-year base. So .1 day per year, that would
7 be, since there are 24 hours in a day, .1 is 10 percent,
8 it would be 2.4 hours each year, that you would be out
9 2.4 hours each year; is that right?

10 MS. RAUCH: Yeah.

11 MR. MacINNES: If you do it .1 days per
12 year, that's the equivalent of 2.4 hours per year, that
13 if you have 14.8-percent reserve margin, then you could
14 be out 2.8 hours -- 2.4 hours per year and meet that?

15 MS. RAUCH: Yes.

16 MR. MacINNES: Okay.

17 MR. JESTER: If I can go back to Chris's
18 question just to clarify. There are two elements of
19 uncertainty that they're trying to overcome: One of them
20 is forced outages, power plants that don't work when
21 they're supposed to; the other is uncertainty in the
22 forecast of the demand peak, and those roughly divide in
23 this 14.8 as 7.2 percent for demand forecast uncertainty
24 and 7.6 to cover for forced outages.

25 MR. BZDOK: Okay.

1 MS. RAUCH: And the other question I
2 think you asked was how is this compared to our historic.
3 Historic resource adequacy was very easy because each
4 year we said, yep, we have 30-percent excess, we're good
5 to go.

6 MR. BZDOK: Got it.

7 MS. RAUCH: We've only recently been
8 seeing, getting close to margins, and we had our first
9 taste even last year with the really cold Polar Vortex.
10 We weren't at the situation where we had to do anything
11 drastic, but it made us sit up and take notice. If we
12 had similar cold weather when we're more capacity
13 restricted -- and this is the entire U.S. continent
14 really -- it might have been a very scary place to be in,
15 because there were a lot of different factors at play;
16 the cold weather was causing more forced outages, fuel
17 shortages due to everyone wanting to also be warm and run
18 their home heating at the same time. So traditionally
19 this has been a summer peak, but we're -- it also can be
20 a winter peak concern. So it's something that's very
21 real and something that we're taking very seriously.

22 But when you look at what does your
23 reserve margin mean; it's all probabilistic, it's how
24 much risk of outages do you want to have, and
25 specifically, how much -- how much of a risk are you

1 willing to take with not having enough generation to
2 serve your load. So that's what this curve shows is that
3 as you start cutting into that reserve margin, because we
4 aren't seeing actual generation shortages against load,
5 but we're seeing shortages against the reserve margin,
6 you start seeing a risk, an exponential growth to the
7 risk for generation-type driven outages.

8 MR. MacINNES: And then if you are out,
9 let's say you're, those two and a half hours, what are
10 you going to do? Demand, demand shed, do rolling
11 blackouts, what are your options?

12 MS. RAUCH: There are about six
13 operational steps we can state, starting with, for summer
14 peak, starting with demand response and getting to
15 different characteristics. We're looking into if we have
16 to go through that entire list, what should be the end
17 state. But it would have to be some sort of load shed
18 because you don't have enough generation to meet your
19 load.

20 MS. CLARK: And before we go to that, we
21 call it our emergency protocols, we will look at, you
22 know, our different operating reserves, you know, we'll
23 go through that piece of it, we'll look at what we call
24 our load modifying resources, that's a step where we,
25 early on where we'll look at it, and the load shed

1 pieces, our final event, that's meaning that out of all
2 these different resources that we called up on, we still
3 didn't have enough, and currently we have about eight
4 gigawatts of load-modifying resources that are registered
5 as capacity. So if you think about the magnitude, if
6 we're going through all those steps and we still don't
7 have enough, then we get into what we call our step five
8 procedure, which is the load shed piece.

9 MR. MacINNES: Well, and my sense is -- I
10 recently heard a similar presentation from MISO, and my
11 sense was that even demand response was not something
12 people were anxious to do for some reason. And to me,
13 that would be one of the first -- I don't know what your
14 priorities are, but --

15 MS. CLARK: It's a step two, it's a step-
16 two process, so we have five steps, and it's part of --
17 it's our step-two process.

18 MS. RAUCH: And I think part of the
19 reason that is the actual contracts for the demand
20 response, there's a, if I understand it correctly,
21 there's a limit in the number of times utilities can call
22 on that, so it's more of -- I think it's more in the
23 scenario where if you are having this issue, it's
24 probably going to be because of a weather front that
25 might be hanging around for a while, so you want to try

1 to see what can you do that's more repeatable before you
2 start taking these contractual arrangements and calling
3 on them instead.

4 MS. CLARK: Right. Our qualification
5 process that Laura was speaking to for our demand
6 response, whether you're an interruptible load or you're
7 a behind-the-meter generator, you have your own generator
8 at your site that you can turn on, in order to qualify
9 and get sort of our -- qualify as capacity, you have to
10 be able to be interrupted for at least five times during
11 the summer for a minimum of four hours' span. So you
12 have some people, depending on their contracts with their
13 commercial clients, that may have their contracts set up
14 like that, but you also have some people that can -- that
15 tell us, well, I can be interrupted all the time, I don't
16 have a minimum, you know, and you have some that say,
17 well, no, I want to keep it at five because maybe I have
18 a contract to where I don't want to interrupt, I don't
19 want to interrupt someone doing a processing plant more
20 than that because they have to figure out work schedules,
21 they have to figure out when they're going to run things,
22 or they may have a third shift coming in where their
23 production is at its greatest or something like that, so
24 you have those type of things.

25 There's another thing that MISO just

1 implemented, it's called voluntary load management. So
2 even though you have resources maybe that you didn't, you
3 didn't register with MISO, but you still have those
4 available, and we've implemented something where we've
5 had those companies that have those type of, we call them
6 voluntary load management in excess of what the
7 requirement is of those eight gigawatts that we may, you
8 know, be able to call up on, too, so they may also be
9 helping with the situation to hopefully not get to the
10 step five.

11 MR. MacINNES: So I just had a
12 conversation with Wolverine Power people, we're looking
13 at putting in a 230 kW diesel engine for emergency for
14 our water system, and I wanted to use it as a DER, and
15 Wolverine said you can do that, but you have to be able
16 to run it 200 hours a year, which is a lot different than
17 the 20 hours that you just mentioned. They said that
18 that was a MISO requirement, my understanding.

19 MS. CLARK: I'll have to look at that,
20 because an EDR, if you're talking about the EDRs where
21 you price it, is that what you're talking about, price
22 it?

23 MR. MacINNES: Yeah. Well, they were
24 going to give us \$2.50 a kilowatt.

25 MS. CLARK: I'll have to find out if

1 there's a 200-hour -- that's the first that I've heard of
2 that.

3 MR. MacINNES: Which, by the way, one of
4 challenges we're having in doing this, the behind-the-
5 meter generation, is the EPA regulations for this size
6 generator don't -- they're too complex. Like I only want
7 to run it 20 hours a year, and the air regulations are
8 onerous, I might not even be able to do it because of
9 that.

10 MS. CLARK: Yeah, it's the internal
11 combustion engine, the ICE.

12 MR. MacINNES: Yeah.

13 MS. CLARK: Yeah, the EPA rules are it's
14 a hundred hours maximum, I believe, and then 50 hours of
15 those can only be used for what we consider nonemergency
16 and maintenance and things like that. And initially they
17 did have some very restrictive rules, but they
18 recently --

19 MR. MacINNES: Because they were calling
20 them tier four rules.

21 MS. CLARK: Yeah.

22 MR. MacINNES: They said, well, these
23 tier four rules, you can do it with an emergency
24 generator, but if you want to be a peak shaver, oh, no,
25 you got to adhere to tier four rules.

1 MS. CLARK: That's the limitation is
2 because they changed the nonemergency piece of it, yeah,
3 and it's a hundred hours, it's a hundred hours total, and
4 then you have to -- you can't go over so much if you're
5 trying to use it for peak shaving.

6 MR. MacINNES: So it makes it difficult
7 to meet the EPA rule and to meet the MISO rule if it's
8 200 hours to get the incentive to do that, which I would
9 think MISO would be wanting to incentivize people to do
10 DERs, I would think, because I was only planning on
11 running it 20 hours a year.

12 MS. CLARK: Yeah, I would have to look
13 into the -- that's the first I've ever heard of 200
14 hours, so I would have to look into that to find out if
15 that's true. I know from a capacity standpoint, we just,
16 like I said, it's five times for four hours. If you want
17 to look at it as an EDR, which means that I'm going to
18 set a price, say my price, if the price is at 100
19 megawatts an hour, that's what I want, that's what I want
20 to get for MISO to run my unit. But I really would have
21 to check on the 200 hours to see if that's a limiting
22 factor. I know 100 is what the EPA has set out, and then
23 I will check on the 200 and get back with you on that
24 one.

25 MR. MacINNES: So it's pretty serious if
Metro Court Reporters, Inc. 248.426.9530

1 you were to take the 2.9 days a year for the 5.2-percent
2 reserve margin, so for actually 2.9 full days a year,
3 that could be probabilistically offline, or you wouldn't
4 be able to service the load.

5 MS. CLARK: Yeah, that's correct.

6 MR. MacINNES: That's pretty serious.

7 MS. RAUCH: Yeah. Although I think one
8 thing to say is this is a projection based on where we
9 are today, and I think part of the reason we are putting
10 out these numbers and talking about them so much is so
11 that we can change them. So it does take time, but I
12 think that's the advantage of talking about it now and
13 really having the informed discussions on -- and
14 submitting comments to EPA on timing of these is to start
15 having the discussions and then seeing what we can fix
16 and how we can fix it.

17 MS. CLARK: Anymore questions? We'll go
18 back.

19 MS. WILSEY: Here?

20 MS. CLARK: Yes. So previously I spoke
21 about the different zones. At the bottom of this chart,
22 you see 1 through 9, these are different zones, and then
23 you see the states that are basically allocated to these
24 particular zones, and again, this is all for the
25 2016-2017 planning year. You can see that Zone 7, which

1 is lower Michigan, we're projecting about a 3.0-gigawatt
2 shortfall for the 2016 planning year. What this means is
3 that, according to the load that we receive from our
4 survey results and the generation, that there's not
5 enough, basically not enough generation to cover that
6 load in the reserve margin that we looked at calculating.
7 So we're saying that we look at being about three
8 gigawatts short in Zone 7 for the 2016-2017 plan year.
9 And this is by zones.

10 The previous slide gave an aggregate kind
11 of number of I want to say it's a 2.3, and then you add
12 the number, about a one gigawatt for the Covert plant.
13 This is just saying in total, including the Covert plant,
14 this is giving a zone-by-zone basis on what MISO is
15 looking like. And you can see in Zone 8 and 9, which is
16 our south region, you can see the green, indicating that
17 they were, based on the results of the survey right now,
18 they're planning to have a 2.5-gigawatt surplus.

19 MR. JESTER: How do the system support
20 resources fit into these numbers?

21 MS. CLARK: The system support resources,
22 well, if you're a system support resource, you're still
23 providing service to MISO, so you would still be
24 considered as part of the planning process. If you are a
25 resource that's planning on retiring, we would not have

1 included you in that, MISO would not have included that
2 plant for that particular resource in it. But a system
3 support resource would still basically be on line with
4 MISO. If after that system support agreement is over we
5 determine that we've got a transmission or generation
6 solution, that particular plant is no longer needed, and
7 you say yeah, if it's no longer needed, I want to go and
8 retire, then that's when MISO would change and update
9 those numbers.

10 MR. JESTER: Do you know or can you say
11 if the plants under system support resource orders in the
12 Upper Peninsula are included in the projected surplus for
13 Zone --

14 MS. CLARK: They're included. Anything
15 that's on an SSR, which means that's it's currently
16 running inside of MISO, is counted as capacity. But if
17 they -- if it's not on an SSR and they say, I -- you're
18 no longer needed, we don't have an agreement with this
19 particular plant owner, and they want to retire, at that
20 point MISO would take those units out of retirement. So
21 there's different things, because the system support
22 is -- this is sort of a capacity standpoint. The system
23 support is the other part of it, the day-to-day I've got
24 this resource running to make sure that the voltage in
25 this particular area is supported. But until that

1 resource decides that I'm not going to, or we're no
2 longer needed in MISO, we're going to continue to keep
3 it, we don't take it out of base numbers.

4 MR. JESTER: So if all of the SSR plants
5 in Michigan's Upper Peninsula were to be retired, the
6 surplus in Zone 2 would be wiped out, and a little more?

7 MS. CLARK: It would be, yeah. Well,
8 you've got two different states covering it, so it would
9 depend on if there's some things -- in Zone 2, it depends
10 on two things: It would depend on what's in our queue
11 now to be added as generation versus what's going out.
12 So if you just say, well, yeah, everything from -- that's
13 in our SSR process right now for Michigan goes away, then
14 yeah, you could potentially see a shortfall in Zone 2,
15 and nothing else is added.

16 MR. MacINNES: So it looks like you've
17 got an excess of .7 gigawatts, and the Presque Isle
18 plant is .4 or so. Even if the Presque Isle plant were
19 to be closed, it looks like you would still have a
20 surplus in Region 2; is that right or not?

21 MS. CLARK: That's only for Presque Isle.
22 I thought it was about what, 4 -- I can't remember the
23 megawatts --

24 MR. JESTER: I think it's .56.

25 MR. MacINNES: .56.

1 MS. CLARK: Yeah, so you're looking at --

2 MR. MacINNES: But that's still below .7.

3 MR. JESTER: But we also have Escanaba
4 and White Pines.

5 MS. CLARK: Yeah, you have other ones. I
6 was going to say you also have White Pines and you have
7 Escanaba, so you would have to consider those as well,
8 and I think there's about what, seven something, I can't
9 remember how many units on the SSRs, but you've got two
10 other ones to consider that are on SSRs in the Upper
11 Peninsula in Zone 2.

12 MR. MacINNES: So Michigan is really the
13 main -- northern lower Michigan, or lower Michigan, is
14 really the problem child in MISO right now?

15 MS. CLARK: I wouldn't call them the
16 problem child. I wouldn't want to call them that, but I
17 would say that they're definitely a cause for concern
18 from a capacity planning piece of it.

19 MS. RAUCH: One thing that we don't have
20 here but that we do look at is it's -- we do want to look
21 at one other piece, which is if Michigan's short, can you
22 import into the state? So we do annual tests on the
23 capacity import limit, which is one of the pieces to fit
24 into this puzzle and something that's, again, Michigan
25 will continue to want to watch, but the capacity import

1 limit does give us some help to make sure that Michigan's
2 not quite as red as it seems.

3 MR. MacINNES: Chris.

4 MR. BZDOK: Just a followup on that. I
5 mean there's a ton of generation in the little PJM nugget
6 in the southwest part of the state. Isn't that really
7 what's driving the load that, the shortfall in Michigan,
8 and isn't that -- isn't this in some ways artificial
9 because you've got so much generation right there that's
10 in the state but it just happens to be in PJM?

11 MS. RAUCH: So any generation that is
12 cleared in the PJM auction -- because keep in mind, PJM
13 is doing the same sort of balance. So if they have
14 capacity, even if it's located in Michigan, that is being
15 used for a PJM load, it is taken out. So it's not the
16 physical location necessarily, it's who has rights to
17 that. And so that's why we have kind of the red dash
18 with Covert is it's a generator that literally was about
19 a bus from MISO to PJM, and so by switching a few things,
20 they're now in the PJM market, so MISO load isn't using
21 it.

22 MR. BZDOK: Covert and a whole nuclear
23 plant.

24 MS. RAUCH: Yeah. And you're right,
25 there are other generators in that area, certainly,

1 that's a pretty generator-dense area.

2 MS. CLARK: Any other questions? Go to
3 the next slide.

4 MR. MacINNES: I guess I have another
5 question on that previous slide. So what steps are being
6 taken that you can tell us about to address this
7 shortfall, projected shortfall?

8 MS. RAUCH: What MISO can do is we have
9 the ability to require transmission to be built, so we're
10 watching the transmission linkages very closely. We also
11 have the ability to provide information on generation,
12 but we do not do generation planning, that's the state
13 role. So we're working very closely with the states to
14 really convey what the image is, to continue to update
15 it, and to facilitate discussions on what the potential
16 solutions are.

17 MR. MacINNES: And there are several gas
18 turbine plants that are being considered. Has that been
19 factored into this?

20 MS. CLARK: No. Well, basically the --
21 we have our process for what we call interconnection with
22 generation interconnecting into MISO. Anything that
23 basically -- we have a study process that we're doing,
24 and so once we look at those studies and once -- there's
25 a phase called a definitive planning phase; until that

1 generation goes through that particular phase, which
2 means they put up a sizeable deposit and they basically
3 at that point have committed to building that generation,
4 we won't include it. We don't include anything that's
5 sort of speculative. If you said that, yeah, we plan on
6 building it, it's sort of still considered a potential
7 project, but not a definite project. So until you enter
8 that planning phase of MISO, it's not included.

9 Now, once we finish our next round of
10 studies, which will be in February for those that have
11 submitted generation interconnection applications and we
12 go through that planning process in February, after
13 that's done, then we'll have a better idea if people want
14 to go through the next steps and say, yeah, I'm ready to
15 connect, I'm willing to do the network upgrades necessary
16 to do the connection, and then once that process funnels
17 out, we will then update the numbers to include it. But
18 until we go through that planning phase, it's still
19 considered maybe they will, maybe they won't, because if
20 they find out how much work they'll have do and how much
21 it may cost, they may not want to do it. So we don't
22 include it because you still can really at this point,
23 you can say no, MISO, I'm not doing it until you have to
24 really put down the sizeable deposit, and that basically
25 saying I am going to do it, I'll willing to do the work,

1 I'm willing to do the upgrades to get it done.

2 MR. MacINNES: And that process takes --
3 I've been through some of that process with a project I
4 worked on, but it seemed like it would take, it could
5 take a year or longer.

6 MS. CLARK: Yeah. It usually takes
7 about, I think we say to MISO to do, fully do the study
8 and determine, it takes us about six months to give the
9 output to the customer, and then they have -- you know,
10 they can decide when they want to say, yeah, we're going
11 to go do it. So it could take a year to when they say,
12 yeah, we're going to definitely go and do this project.
13 And once we get the okay from the customer, then that's
14 when MISO will start incorporating that particular
15 generation into our planning processes. Good question.

16 And this is sort of the, I think it goes
17 along with the next slide that we talked about previously
18 on what does it look like going into our future years.
19 And we have the 2016-17 that we were looking at, and we
20 talked about the different zones, and Zones 1 through 9,
21 what does that mean, Zones 1 through 7, what does that
22 mean. The 3.3 gigawatts, basically that's saying that
23 our reserve margin with that 3.3 gigawatts is going to be
24 less, so we're looking at 11.5-percent reserve margin,
25 and you look at the between '15-16, our reserve margin is

1 at 16.6 percent. So we're saying that, as Laura
2 mentioned, that their reserve margin is basically
3 decreasing as we're looking at the 2020 year especially
4 and some of the EPA regulations. So we're seeing that
5 this shrinkage in the reserve margin going forward, and
6 that gigawatt shortfall just means that we're, we're not
7 planning for that one day in 10, that that one day in 10
8 could go up, I think we saw something about a 2.5 or
9 something like that, so we're not doing the one day in 10
10 because the reserve margins are getting shorter as we go
11 out. And again, the reserve margin is looking at load
12 and generation. So it's the 50/50 forecast, it's the
13 generation, and looking at their availability to meet the
14 load obligations in MISO.

15 Any questions?

16 And this is the slide that we talked
17 about previously, and it connects to the previous slide.
18 As you look at -- as we go out longer term, we can see
19 sort of those planning reserve margins shrinking.
20 Hopefully once we get some people through the
21 interconnection process, we can have something a bit
22 better. And if you look at the 2020 year, if you
23 remember, that was the year of the Clean Power Plan that
24 the EPA was implementing to have the Clean Power Plan, so
25 you look at that year and you look at what could

1 potentially happen to our planning reserve margins. As
2 we decrease those planning reserve margins, I think the
3 takeaway from this slide is that, you know, we will be
4 going through those five steps of our emergency operating
5 procedures. So that means that we will likelihood be
6 going through the implementation of our, we call them our
7 EOPs.

8 MR. MacINNES: So do you think that most
9 of this will be solved through generation, or will
10 there -- and will there be a portion of it that's solved
11 by interstate transmission?

12 MS. CLARK: I don't think it's one
13 solution, I really think it's probably both. I think
14 it's looking at -- and you're solving -- Laura mentioned
15 import limits and things like that; that is very
16 pertinent to making sure that if I have generation in
17 Indiana, that I can get generation to Michigan, and still
18 be reliable. So I think it's both, I don't think it's
19 just one particular solution, I think it's a generation
20 solution, and it's a transmission solution, and you have
21 to look at, you know, Upper Peninsula and think about,
22 well, yeah, if I take out Presque Isle, I still have an
23 issue, I still have a reliability issue on the grid, and
24 I think you have to look at both. I don't think it's
25 just one thing.

1 And I think Laura sort of kind of hinted
2 on this, is what we're doing is we're working with state
3 commissions, we're working with our customers to make
4 sure from a long-term perspective that we have the load
5 and we have the generation lined up correctly, we're
6 looking at this, we're updating this on, looks like an
7 annual basis now with the survey results. MISO has
8 contracted with the Purdue State utility forecasting
9 group, they're doing some independent load forecasting
10 for MISO, the results I believe are going to be reviewed
11 in Dec -- well, this month, December, on that. So we're
12 trying to make sure that we have the things in place and
13 we have sort of some of the outputs of that, and we're
14 looking at things from different perspectives, we're not
15 just trying to rely on one piece of information, but
16 we're looking at, okay, we're getting this from a load
17 perspective, what are they really saying, you know,
18 are -- we made some assumptions on load growth, what
19 does, you know, our independent load forecast say, is it
20 in line, and maybe sometimes it's not, because you can
21 use different assumptions. But we're also looking at
22 trying to figure out different ways to look at the
23 resource planning perspective.

24 There were some question I think some
25 stakeholders raised about our generation interconnection

1 process; you know, is there something that we can do
2 there that could make that process go through a little
3 bit easier. We're also exploring, we have what we call
4 some unused capacity, that basically it has to still go
5 through our generation interconnection process, but
6 there's no network upgrades to be done, so this is
7 something that's pretty much easy to go through, submit
8 the application, we determine that no network upgrades
9 will need to be done, so you will get more capacity
10 basically out of these particular units.

11 And then we're also, like I said, we're
12 looking at tariff stuff. The outage coordination piece
13 is important because we're trying determine as far as,
14 okay, likelihood of having outages. The Polar Vortex was
15 very crucial in making sure that, you know, are we
16 accounting for these resources correctly. If we get a
17 temperature below a certain point, how do we ensure --
18 how do we know for sure that those units at 20 degrees
19 below are going to be operating at the capacity that we
20 need them to. But, you know, we're looking at different
21 policy changes just to make sure that we can get the
22 amount of generation that we need when we need it from a
23 footprint.

24 So the thing we can't do is we can't look
25 at these things in silo processes, we have to look at it,

1 you know, we have several different planning processes
2 from generation to transmission, and we have to look at
3 those processes together.

4 MR. MacINNES: So at the IEEE meeting in
5 D.C. this summer they talked about the accuracy of
6 different forecasters, that there are some forecasters
7 are that are very accurate and some that are not so
8 accurate. Have you -- I'm sure you've, MISO's looked
9 into getting the best of the best on load forecasting.

10 MS. CLARK: Yes, yes.

11 MS. RAUCH: And load forecasts are
12 something we get from our members, it's not something
13 that we historically have done, because they're the ones
14 obligated to serve their load. The reason we're doing an
15 independent load forecast is because, like you said,
16 sometimes numbers get misplaced, we want to have some gut
17 check on is this right or is this wrong, so having the
18 independent load forecast allows us to do that.

19 MR. MacINNES: I think that's a great
20 idea.

21 MS. CLARK: And we've implemented some
22 sort of controls, too, to where we're looking at, this
23 particular year I know is that we're looking at the
24 forecast and we're looking at the changes from year to
25 year and just looking at it from a does it make sense

1 point of view, we're doing sort of the check to say,
2 okay, well, this is what it was last year, are they
3 really going to have a 10-percent load growth, because if
4 they have a 10-percent load growth, there'd better be a
5 huge plant going in there to account for that. So we're
6 doing some of our checks when we're getting these
7 forecasts as well from our LSEs just to make sure that
8 they are reasonable according to some of their historical
9 numbers, and there may be a justification for it, but it
10 does help to make sure that when we get this information,
11 we're sort of doing another doublechecking on them.

12 MR. MacINNES: Doublechecking.

13 MS. CLARK: Questions?

14 MR. MacINNES: Did you have a question,
15 Susan?

16 MS. HAROUTUNIAN: This is all very
17 orderly and everything, and everything continuing on as
18 usual. What kind of disaster planning are you doing,
19 whether it's weather, sabotage, what if things go down?

20 MS. RAUCH: So one of the things we don't
21 have here but we do on a regular basis is we'll do
22 seasonal assessments, and that's basically look. We just
23 looked within -- finished our winter assessment of if
24 things are really, really bad weather wise, will we still
25 be okay, or what do we need to prepare people to do. So

1 we looked at the last seasonal, we looked at something
2 that's kind of as severe as the Polar Vortex we had last
3 year where you had more outages to deal with the weather
4 issue. We also have a lot of southern members, so
5 hurricane planning is now something we deal with as well.

6 From a sabotage point of view, we
7 actually have been spending a lot of time, especially
8 with some of the attacks on substations, trying to figure
9 out what those critical facilities are, and some of the
10 new regulations that are coming out are looking at those,
11 making sure you're very safe around them, and also
12 looking at things like spare equipment strategy. So if
13 you have some of these spare equipment pieces that take a
14 long time to replace, do you have a good option so you're
15 not just saying, well, this is out, it's going to be out
16 for six months.

17 MR. MacINNES: Like a large power
18 transformer.

19 MS. RAUCH: Exactly. So we're spending a
20 lot of time -- a lot of those discussions, especially the
21 sabotage ones, tend to be very, very, very protected
22 because we don't want to be publicly saying here are our
23 weak spots, but we do have what we call critical energy
24 infrastructure information agreements that once folks
25 sign, they can really contribute to those discussions,

1 and that's essential because usually it's those local
2 utilities and local planners that can help us with them.

3 MS. HAROUTUNIAN: Okay.

4 MS. RAUCH: Okay. So again, thank you
5 for coming. My name is Laura Rauch, I'm manager of
6 resource adequacy coordination now, my previous life was
7 in the reliability planning group, so I know I've been
8 able to speak to you guys under that guise before. I'm
9 going to give a fairly quick update on our MISO
10 Transmission Expansion Plan, our MTEP.

11 So we talked a little bit about the
12 governance structure, and this is an example of that.
13 These are the MISO board of director planning principles.
14 So every time we ask the board of directors should we
15 build this, which is basically what our MISO transmission
16 expansion plan is, it's a list of projects we think
17 should be built, they say, well, show us how you followed
18 your planning principles; and so these are things like
19 making sure that we look at economics, look at
20 reliability, keep the lights on, look at policy, how are
21 you reacting to things that are coming down the line,
22 both state, local, and federal, and if you're asking
23 someone's to build, are they doing so because they're
24 getting benefits out of it.

25 One of the new things here that you might

1 not have noticed from last time is we now have one that
2 says make sure you play well with your neighbors. So
3 we're spending a lot of times working with SPP, with PJM,
4 with our neighbors, because electricity doesn't stop at
5 state or RTO boundaries, and we need to make sure we're
6 operating and building to maintain that.

7 Next slide, please. So at the end of the
8 day, really what we're trying to do is hit a sweet spot
9 where you're minimizing generation costs, you're
10 minimizing transmission costs, and that gets to a point
11 where you're minimizing the total cost of energy to
12 customers. So if you look at your bill, you have a lot
13 of different pieces on it; usually the bulk of that is
14 your fuel costs, but you also want to make sure that you
15 have the transmission to get generation from the
16 generator to the load, and that you're not building too
17 much transmission where it's just gold-plating the
18 system. So we try to do this in an open and transparent
19 manner so that we can use crowd sourcing, get good ideas,
20 and make sure we're getting everyone's needs met to the
21 extent we can.

22 So when you look on the next slide about
23 some of the moving pieces, there's a lot of different
24 things that fit together. There's new members that are
25 coming in, we just integrated the southern region;

1 there's congestion, economic limitations that mean that
2 we can't get the cheapest generation to serve our load.
3 Load forecasts we've talked about. Fuel prices and
4 availability is something that's new, especially when you
5 look at a shift to natural gas, you need to make sure you
6 have the pipelines for that as well. Order 1000 is a
7 large order that was issued probably a few years ago at
8 this point, but it has a lot of moving parts on who gets
9 to build transmission and how you play nicely with
10 others. And then you have a lots of different policy-
11 driven changes that we look at.

12 And so at end of the day, what we do is
13 we try to consolidate these conceptual ideas into
14 concrete planning with reliability analysis, keeping the
15 lights on; economic, keeping them on for the least cost
16 possible; long-term resource adequacy, which is my group,
17 making sure you have enough generation to serve your
18 load; and several other things that are looking at
19 resources coming online, resources coming offline, and
20 who gets to build transmission in the future.

21 So if you go to the next slide, MTEP's
22 what we call an annual 18-month process, which is we do
23 it annually and it takes 18 months to finish it in
24 general. So we just finished our MTEP analysis for 2014,
25 probably within a week we're going to be sending the

1 final report to the board of directors for their
2 approval. And when we talk about MTEP, it's really
3 encompassing all those public pieces from the previous
4 slide into one report. So it's looking at your
5 reliability assessment on the NERC side, your economics,
6 which are, we've studied intensively and are continuing
7 to study, we have the resource piece in there, and then
8 we have a lot of stakeholder discussion that got us to
9 the point where we could have a report.

10 And please, if you do have questions,
11 stop me.

12 So MTEP --

13 MR. MacINNES: I have a question.

14 MS. RAUCH: Go ahead, please.

15 MR. MacINNES: So you're talking about
16 MTEP 2014. When did you start the MTEP process, I mean
17 was it 2008 or 2000 -- when was it?

18 MS. RAUCH: I think the first MTEP report
19 was '05, I want to say. We've really been doing them
20 very regularly, on an annual basis, since '08. So what
21 we've done in recent years is when I -- a few years ago I
22 was involved in the MTEP report, and it was probably
23 about three-inch thick paperweight; we've tried to make
24 it so it's a good summary now and links to the three-inch
25 thick paperweights of a lot of other studies.

1 MR. MacINNES: So if you were to take all
2 of the MTEP projects through 2014, how much money was
3 intended to be spent, roughly, since the beginning?

4 MS. RAUCH: I'd have to look it up.
5 It's -- this year is about 1.8 billion, and that's
6 probably a normal year. I'd say we've probably been
7 about a billion a year. We did have a larger year with
8 the 2011 with the Multi-Value Projects, we were around
9 6.5. So it's, so '05 through '14, I'd say we're probably
10 \$10-15 billion worth of transmission investment.

11 What you'll see, though, is that the vast
12 majority, especially by project accounts, and by cost,
13 too, but especially by project account, is local
14 projects. So we have another slide on this, but if you
15 look at the project breakdown, we have our baseline
16 reliability, which are the projects to solve the federal
17 NERC reliability violations, so this is -- you might have
18 a 100 kV line that's, or 138 kV line that's overloaded
19 with another line next to it. So we have a few of those.
20 We have some new generators that are coming in and
21 they're building projects to make sure that they stay
22 reliable.

23 But most of them are these other
24 projects, and these fall into a few buckets. They can be
25 economic projects where they don't meet the benefit/cost

1 ratio; they can be reliability-driven upgrades, and
2 usually that's what they are, they're driven by the
3 utility reliability needs, but they're not NERC
4 violations, so they could be condition, they could be
5 less than 100 kV lines, but they're to solve -- utilities
6 say we think that this is needed to solve issues, we'll
7 take it through a stakeholder process, and assuming we
8 see the same need, we'll go forward. But a lot of times
9 these are things likes woodpeckers are attacking our wood
10 poles and we need to replace them before they fall over.

11 MR. MacINNES: So that would be at
12 distribution level, then?

13 MS. RAUCH: That was actually a
14 transmission tower.

15 MR. MacINNES: Really.

16 MS. RAUCH: It was a fairly old one, but
17 it was a transmission tower. We also had an instance
18 where farmers were taking shortcuts into their field and
19 the transmission lines were too close for their tractors
20 and combines to go underneath.

21 MR. MacINNES: So these would all be
22 transmission level projects, over 100 kV, it could be
23 transformers, towers, wires, that sort of thing --

24 MS. RAUCH: Yeah.

25 MR. MacINNES: -- breakers?

1 MS. RAUCH: And actually, great
2 transition. Let's go to the next slide. You'll see that
3 most of these are upgrades to existing equipment, and
4 you'll also see the spread of these. So but we do have
5 some new transmission lines in here. Most of them,
6 again, are upgrades to transmission lines. And we say
7 100 kV, although some areas I've seen 41.6 kV
8 transmission line; it's all about there's a seven-factor
9 test which says is it transmission, and it's all about
10 kind of what type of trans line it is. So if it passes
11 that or if it's under the MISO functional control, we are
12 planning for it.

13 MR. MacINNES: So what about FACTS
14 devices, do they fall into that?

15 MS. RAUCH: FACTS devices, I believe we
16 do have some that we'll look at, but I couldn't name any
17 off the top of my head.

18 MR. JESTER: Question.

19 MS. RAUCH: Yes.

20 MR. JESTER: I looked back through all of
21 these I think. There have been a significant number of
22 projects nominated that would have increased transmission
23 into the Upper Peninsula, almost all of them failed by
24 large margins on benefit/cost tests and things of that
25 sort, and yet we clearly have a problem. Can you talk a

1 little bit about why that is so?

2 MS. RAUCH: Thank you. So when we talk
3 about transmission projects, we have several different
4 cost allocation buckets, and unfortunately I did not
5 bring that slide with me, where we say for MISO to say
6 this must be built, here are the benefits that we can use
7 for that, and those benefits are benefits that we've
8 defined with heavy stakeholder input. So, for example,
9 our economic benefits are adjusted production cost
10 benefits. There may be other benefits to building the
11 transmission lines that we can use for Multi Value
12 Projects, but if you want a stand-alone economic project,
13 it has to reduce your adjusted production cost, which is
14 basically freeing up cheaper generation to serve load.
15 So that's one thing. And we've looked at lines going to
16 the U.P. under those economic metrics, and they have
17 failed. It's -- what we've seen is that the Upper
18 Peninsula is really a reliability issue, but until you
19 have a generation retirement, you don't have a case to
20 build for a reliability issue if there isn't some other
21 NERC violation that has occurred. It's something that a
22 six-month timeline seems like a lot, but not when a
23 transmission line takes several years to get through the
24 process and build. So it's something that we work, are
25 working on very carefully and working on very hard right

1 now, especially with the Upper Peninsula.

2 What are the solutions there? MISO can
3 propose transmission solutions, we can work with the
4 state to consider generation solutions as well, and
5 probably the answer could be a combination of both. So
6 once -- now that we know this generator is retiring, what
7 is the transmission that should be built, or what are the
8 solutions for the area that can be built?

9 But you're right, we have looked at this
10 from an economic point of view, we did a Northern Area
11 Study; unfortunately, at that time Presque Isle was in
12 and out and ended up saying that they were going to be in
13 service during the study period, so it was left in, but
14 still, it's not an economic problem, it's, from a MISO-
15 defined, MISO-stakeholder-defined economic criteria, it
16 is very much a reliability issue, we're looking into it
17 very strongly.

18 MR. MacINNES: So that would be the N -1
19 criteria, and voltage support probably would be part of
20 that?

21 MS. RAUCH: Yeah, I believe the issue
22 that we've seen is a lot of voltage reactive power needs,
23 if you take away the generator, you're taking away a lot
24 of the ability to keep the system voltages up, and that
25 translates into a non-reliable system for the local area.

1 So just an example of trying to get to
2 those optimal solutions requires a lot of meetings and a
3 lot of time, we're very lucky that our stakeholders
4 devote this time so that we can come with a good
5 solution. For example, in Michigan we'll do several
6 subregional planning meetings here held in various places
7 throughout the state, also some technical study task
8 force meetings which discuss each of projects we're
9 recommending for approval. And in the technical study
10 task force meetings, we protect those with agreements so
11 that we can openly discuss really what the weak points of
12 the system are, points of failure, without worrying about
13 identifying points of sabotage for the public eye.

14 So we spent a lot of time talking with
15 our stakeholders throughout the footprint, and really
16 it's because of that we've got into the set of solutions
17 that we have at this point.

18 That's good, I think. Was there another
19 slide there?

20 MS. WILSEY: I don't think so.

21 MS. RAUCH: So questions, comments,
22 discussion?

23 MR. MacINNES: That was a great --

24 MS. CLARK: Wow. This is great, lights
25 on/lights off, that's kind of like what we're talking

1 about, aren't we?

2 MR. MacINNES: Yeah. But a great
3 presentation by both of you, very informative and helps
4 us understand how all the pieces fit together.

5 So any questions from the board? Anyone?

6 MR. BZDOK: I guess I have one. So this
7 will sound more argumentative than it should, but help me
8 understand the catch 22 with U.P. You've got Presque
9 Isle is an SSR now for reliability reasons, and it
10 wouldn't need to be an SSR and we wouldn't need to be
11 incurring all these expenditures if there was a
12 transmission line, but the transmission line can't get
13 justified on reliability reasons because Presque Isle is
14 still functioning.

15 MS. RAUCH: No, I think when you look at
16 Presque Isle where we are now, it's much easier to make
17 the case for transmission upgrades, and we are looking at
18 both upgrades coming in from Wisconsin or going down
19 through under the Mackinac Bridge. Where we have trouble
20 is when Presque Isle says I'm just going to continue
21 operations; so there we can't -- we don't have a
22 violation where we can say, you really -- we're going to
23 force you to spend this hundred billion or hundred
24 million or \$500 million to build this upgrade; we could
25 support it if it comes forward from the utilities, but

1 they're the ones who best know the likelihood of the
2 generation being there. So now that we have a generation
3 retirement, we're in a much better place to actually have
4 good solutions. When the generator is saying I'm going
5 to be here, we can identify risks, but that's about it.

6 MR. BZDOK: So the be here phase was the
7 Wolverine merger phase, and then you guys got an
8 Attachment Y?

9 MS. RAUCH: Yes, yes.

10 MR. BZDOK: How long ago?

11 MS. RAUCH: When was the last time I was
12 here; I feel like we had this discussion?

13 MS. WILSEY: October of last year.

14 MR. MacINNES: It's been about a year,
15 over a year.

16 MS. RAUCH: So I think the start of last
17 year we started the Northern Area Study. Initially we
18 did have Presque Isle offline in that study, then we put
19 it back online because of the, because of the statement
20 we were told that it was going to be online, and then we
21 received another retirement request.

22 MR. BZDOK: Okay. Thanks.

23 MR. MacINNES: A lot has happened since
24 then. Okay. Any other comments or questions?

25 Well, again, thank you very much. It was
Metro Court Reporters, Inc. 248.426.9530

1 a delightful report and very informative for us, so
2 appreciate you coming up from Indiana to visit with us.

3 MS. CLARK: It's a pleasant drive.

4 MS. RAUCH: It was very pleasant.

5 MR. MacINNES: How about if we take a
6 five-minute break.

7 MS. WILSEY: Yeah.

8 MR. MacINNES: And then we'll resume and
9 do more business. Thank you.

10 (At 2:38 p.m., there was a ten-minute recess.)

11 - - -

12 MR. MacINNES: Okay. Shall we get
13 started here. One of our board members has to leave a
14 little early, so.

15 Okay. The next item of business here as
16 we resume is the RRC grant request.

17 MR. SHALTZ: Thank you, Mr. Chair. Last
18 August we submitted a grant application to the board;
19 part of the grant application was for some GCR
20 reconciliation cases, and the board has already passed on
21 that particular grant proposal. Today I want to present
22 the part of the proposal that deals with the four GCR
23 plan cases that we asked for in that proposal.

24 The Residential Ratepayer Consortium,
25 just to remind you, is a collaboration between two
Metro Court Reporters, Inc. 248.426.9530

1 organizations, the Area Agencies on Aging Association of
2 Michigan and the Michigan League for Public Policy. Both
3 organizations have statewide memberships and
4 constituencies, and basically they advocate the interests
5 of residential customers of Michigan's gas companies.

6 We're seeking to intervene in the GCR
7 plan cases of the four major gas companies in Michigan;
8 Consumers Energy Company, DTE Gas Company, Southeastern
9 Michigan or SEMCO Energy Gas Company, and Michigan Gas
10 Utilities Corporation. These four companies comprise
11 over 95 percent of the residential customers in Michigan,
12 and in the GCR plan cases that will be filed at the end
13 of December of this year, these cases affect about
14 60 percent of the average customer's bill each month,
15 some cases it's higher. These cases will start probably
16 beginning to mid February is when the first prehearing
17 conferences will be scheduled, and will go from there.

18 What we're proposing in the grant that we
19 submitted to you is to do the review that Act 304
20 requires in these cases. The statute sets out a number
21 of items that the Commission has to review for
22 reasonableness and prudence, and basically our proposal
23 proposes to audit each of the filings for those elements.
24 The first element is typically the sales forecast, which
25 comprises numbers of customers and assumptions about

1 weather, what demand is going to be like.

2 What will be interesting in this round of
3 cases, this will be the first time that the utilities
4 will have an opportunity to integrate in their GCR plans
5 any lessons they learned from last winter when we had the
6 extreme weather. So we'll be looking very carefully to
7 see if they simply ignore last winter and sort of just do
8 business as usual, or if they actually change their
9 demand forecasts to make modifications on how they
10 project for colder-than-normal temperatures.

11 If they do make modifications, that will
12 have a ripple effect through their GCR plan, because then
13 they're going to have to modify their purchasing
14 requirements, how they operate storage, and how they plan
15 to obtain supply from the Gas Customer Choice customers
16 who they have contracts with in the colder-than-normal
17 weather. So each of these elements sort of has an
18 interrelationship with one and other.

19 We'll continue to look carefully at how
20 well the utilities are doing in lining up both firm and
21 interruptible gas transportation contracts. All the
22 utilities have a number of contracts that expire each
23 year, and so these contracts are up for renewal, and we
24 want to see whether they're getting the best price to
25 best fit their system supply characteristics.

1 We've been very successful in getting
2 three of the four gas companies to scale back on the
3 degree of fixed-price purchasing that they've been making
4 because we've been able through time to show that even
5 though the purpose of those programs was to bring
6 stability in rates, they have not performed as well as
7 simply buying gas at index on a monthly basis. So the
8 one company that's sort of a holdout is DTE Gas Company,
9 which still purchases 75 percent of its requirements at
10 that level.

11 Frankly, I think if the Commission this
12 year continues to allow DTE Gas Company to continue doing
13 that, it doesn't make sense to continue pursuing that
14 issue. Each year the Commission says, we want more data,
15 show us more. We've sort of gotten the burden of proof
16 shifted around a little bit. This last round of cases
17 the Commission said, we want the Company to make a robust
18 presentation of why 75 percent is still needed, so we're
19 hoping that in this round of cases, we're going to have
20 either the thumbs up or thumbs down on this. If we don't
21 get them to turn around on it this time, I doubt that
22 we'll be looking at that in the future.

23 One of the things we've seen recently is
24 that the gas companies have informally and formally been
25 floating with the Commission Staff and the parties some

1 new proposals for modifying what are called their GCR
2 contingency matrixes; these are things in their rates
3 that allow them to bump up their GCR factor if certain
4 things are going on in the market. The Commission has
5 approved these, with some limits on them, but now we're
6 hearing noises that the companies actually want to use
7 this mechanism to try to collect under-recoveries within
8 the same GCR year; so if they were short in February,
9 they want to be able in May to increase their GCR factor
10 to collect what they didn't. The problem --

11 MR. MacINNES: Does that mean that
12 they'll give the money back within the same year if they
13 over-collect it?

14 MR. SHALTZ: Well, that's the problem.
15 These are always one-way streets, you know, we never have
16 a two-way street going here. Every time we suggest that
17 there needs to be a balance, they always fall back on
18 saying, well, we have no incentive to over-collect
19 because we have to pay interest on those. Well, it's
20 basically cash refinancing for them, and there is some
21 real, I think, advantages for them to do this. So we'll
22 certainly be scrutinizing them. We've always opposed
23 these contingency mechanisms because we think that the
24 reconciliation phase of the case is usually an adequate
25 remedy for them. Nowhere else in ratemaking is there a

1 reconciliation phase where they get to go back and
2 collect where they didn't, what they didn't collect in
3 the first place. So we think those are going to be big
4 issues.

5 In our proposal, we give you a list of
6 other items that we typically put in our audits in these
7 cases, and we'll continue to do that because we find in
8 doing discovery, a lot of times in routine discovery
9 we'll discover things that are different from prior years
10 that they're trying to do for the first time, so I think
11 we'll continue along that path.

12 We've always worked closely with the
13 Attorney General's office to try to coordinate our
14 efforts to make sure that as many issues as possible are
15 covered. Typically where we do have an overlap in
16 testimony, we make sure that it's complementary and not
17 duplicative. This year Mr. Erickson has retired, so
18 we'll be working with Mike Moody and John Janiszewski.
19 Don Erickson may be coming back on a part-time basis on
20 some cases. But that will be sort of a new dynamic this
21 year because Don always took the lead in these cases, so
22 we'll have to probably pay more attention to the
23 collaboration and coordination part of the effort.

24 The budget we've proposed to you is a
25 little over \$27,000 per case. I was certainly paying
Metro Court Reporters, Inc. 248.426.9530

1 attention at the beginning of the meeting about the
2 budget constraints you all are facing.

3 So just to refresh your memory, what you
4 did in the GCR reconciliation cases is when you decided
5 how much was available to fund our intervention effort,
6 you basically instructed us to decide how best to
7 allocate the money; we would certainly welcome that
8 approach again, because I think the way we need to do
9 this is to get through one or two rounds of discovery to
10 really get a sense of where the most important issues are
11 going to be and which companies are going to be most
12 important before we decide on a final allocation of where
13 the money should go. So I'd be happy to answer any
14 questions you have about the proposal.

15 MR. MacINNES: Okay. Does the board have
16 any questions about this proposal?

17 MR. ISELY: What sort of timeline is that
18 on the discovery components?

19 MR. SHALTZ: The filings are made right
20 at the tail end of December. Because of the holidays, we
21 usually don't get into actually reviewing them for first
22 discovery requests until the first or second week of
23 January. So I would think by the time the prehearing
24 conferences happened at the beginning and middle of
25 February, we'll have our first sets of discovery out. We

1 usually hand them to the company at the prehearing,
2 because in GCR plan cases, unlike reconciliations, you
3 can't start your discovery until you become a party to
4 the case; once we're a party, we can actually physically
5 hand the discovery over to them. So I would think that
6 by end of February, March 1, we should have a very good
7 sense of where the issues are going to be in these cases.

8 MR. ISELY: Okay.

9 MR. SHALTZ: And we'd certainly report
10 back to you on that, let you know how we think we're
11 going to allocate the dollars in these cases.

12 MR. ISELY: Thank you.

13 MR. MacINNES: How much would you spend
14 by then?

15 MR. SHALTZ: Not very much. You know,
16 it's typically petitioning to intervene, doing the
17 initial review, and putting together one or two rounds of
18 discovery, so that typically runs within 15 to 20, maybe
19 25 percent of the budget at that point.

20 MR. MacINNES: And that would be for each
21 of the four?

22 MR. SHALTZ: Yep. And we know sort of
23 going in what the key issues are going to be for some of
24 the companies. For two of the companies, we've been able
25 to enter into settlement agreements where they basically

1 adopted our recommendations informally, so we know that
2 those issues are sort of taken care of. So we think that
3 probably the two bigger companies, Consumers and DTE Gas,
4 will be the ones that have the most potential issues for
5 advocacy this time around.

6 MR. MacINNES: Any other questions for
7 David?

8 Okay. Well, I think maybe it would be
9 good to have a discussion. Michelle, do you have any
10 comments you want to make, or thoughts? I was thinking
11 about just having a little discussion here about how far
12 we want to go into debt further and, you know, just what
13 we want to do here with what remaining small amount of
14 funds we have.

15 MS. WILSEY: Well, I think so you're in
16 that position, David's total request was 109,000 and
17 change; if you supported that in its entirety, that would
18 take you about 70,000 further into an overage situation.
19 You may want to moderate the funding more in line with
20 some affordability with the ability to David to report
21 back.

22 David, I think you need let the board
23 know a little bit about what you can work with; you know,
24 if they grant you a certain amount of funds, can you
25 approach the issues that you're planning in one or two

1 cases and maybe not the other, that type of thing, so,
2 you know, if you want to moderate the request.

3 The board can continue to consider
4 additional funds, but again, anything over that 35 is
5 deciding to go a little further into arrears.

6 There's another big set of cases on the
7 horizon, PSCR reconciliation cases are out there as well.
8 Right? So if any parties are thinking about wanting to
9 be involved in those cases, which historically there have
10 been, that's another group of cases to kind of have in
11 mind as well for parsing out funds. And so right now we
12 have one issue in front of us, and beyond that, you know,
13 at least one other big group of cases that may come
14 before the board as requests going forward. So I think
15 the first issue is, you know, making that decision about
16 what is the overall temperament of the board in terms of
17 taking on additional debt, if we want to call it debt,
18 whatever everyone calls it.

19 MR. MacINNES: I call it debt.

20 MS. WILSEY: Right. I'm calling it debt.
21 There's been a lot of like forward spending and borrowing
22 and deficit debt. If the board wants to begin to be
23 austere this year, then a smaller approval would be in
24 order, and some guidance to the other grantees on whether
25 its, you know, thought process is to be austere and

1 limited going forward or if you're going to be open to
2 further requests for funding.

3 MR. SHALTZ: Mr. Chair, I was thinking a
4 little bit what Michelle was saying. I think if I was in
5 your position, the first thing I would want to think
6 about is, okay, we know how much you owe the AG, so I
7 think one of your initial decisions has to be is how
8 quickly do you pay that back; because if you have an
9 amortization schedule to for, it was 220, so if you do it
10 over four years at 55,000, for example, you know that
11 this year out of your total allocation off the top, you
12 have to subtract 55,000, so that tells you what you've
13 got left for this year.

14 And for the second question that Michelle
15 asked about, you know, what could we work with within
16 this budget; you know, I've talked to my expert witness
17 about the budget problems we're having this year and I've
18 talked to my clients about it. You granted us 60,000 for
19 the reconciliation cases and, you know, we certainly
20 understand that that's going to mean that probably we're
21 going to have to do the most of our work in about two of
22 the cases out of the four. I think we could do, for this
23 year -- I'm not suggesting this is adequate funding by
24 any means -- but for this year, we could probably do that
25 for the plan cases, too, in that range.

1 MR. MacINNES: In the 60,000?

2 MR. SHALTZ: 60,000 for the four cases.

3 MR. ISELY: Well, to the broader issue of
4 how long a payback schedule, you know, we have the 220
5 from last year, right?

6 MS. WILSEY: Yes.

7 MR. ISELY: Essentially.

8 MS. WILSEY: That's what we have, yes.

9 MR. ISELY: We have several pieces here
10 that we're looking at adding to that this year, right?

11 MS. WILSEY: Potentially, yes.

12 MR. ISELY: Okay. Essentially if we're
13 looking at -- if we ignore the COS cases and look at what
14 we're spending other than that, we'd have to be in the,
15 between 4 and 450 to make it a four-year pay back, and
16 between 450 and 5 to make a five-year pay back
17 essentially, assuming 575,000-ish, so we're making some
18 assumptions, sort of back-of-the-envelope calculations?

19 MS. WILSEY: I don't think they're wildly
20 off, but 70 -- what did we say, 10 to 12 percent of the
21 total, 574, puts you roughly in that areas, although we
22 have a little growth.

23 MR. MacINNES: Well, I think, as was
24 pointed out, one of the first questions is what's a
25 reasonable payback time, I mean what's the sense of the

1 board on that? You know, it seemed like when we had our
2 conversations with Michael Moody, I mean he seemed to
3 be --

4 MS. WILSEY: Four years was fine; five
5 years, he was starting to get a little iffy, but would go
6 back with it; anything beyond that, I think they might
7 start going, you know --

8 MR. MacINNES: Yeah. So it's probably
9 four or five years are our two choices. How do people
10 feel about that?

11 MR. ISELY: I personally would argue that
12 you target the four, and if we have another emergency, it
13 gives us a little bit of slush room.

14 MR. MacINNES: That's a good point.

15 MS. HAROUTUNIAN: We have to take into
16 account, as I know everyone is, our purpose here. If we
17 cut back too drastically, we might as well not do
18 anything, because we can't -- we can't get enough done
19 with unduly limited funding is where I'm going.

20 MR. MacINNES: But yet we have a pretty,
21 if you read this document, it's pretty hard and fast on
22 don't spend money you don't have. It's --

23 MS. HAROUTUNIAN: It's my understanding
24 from what's been said that the Attorney General is
25 willing to have us continue as long as we pay back; and,

1 therefore, I think our role in all of this is to finesse
2 what we think we can support, and at the same time get a
3 sufficient amount of work done that our existence is the
4 way it should.

5 MR. MacINNES: Get the maximum amount
6 done.

7 MS. HAROUTUNIAN: Yeah. But the caution
8 is, well, we can't do everything we'd like to do.
9 Mr. Shaltz is helping by saying, well, I think with these
10 other cases, I can also do it for less out on a temporary
11 basis; I'm sure that's true of everybody because they
12 want to keep doing what they're doing, so it's a balance
13 in there, and we have to make sure that we're doing as
14 much as we can.

15 MR. MacINNES: Absolutely. I agree with
16 all of that. So that said -- I mean I agree with that,
17 what you just said -- what's --

18 MS. HAROUTUNIAN: What's the right
19 number.

20 MR. MacINNES: -- what's the right
21 number. I mean we're a board, we're here to make a
22 judgment on this, that's what we get the big bucks for,
23 right, but to take a considered judgment on what's
24 reasonable. So what do we think is a reasonable
25 timeframe, and recognizing that, you know, the AG's

1 office is flexible, but yet I think there are limits to
2 it, too?

3 MS. HAROUTUNIAN: Right.

4 MR. DINKGRAVE: I would say I agree with
5 what's been said, I think the four years is a good place
6 to aim for and start, and it does give us, like you said,
7 Paul, though, room in case something unexpected does
8 happen or there's some opportunity that comes up that we
9 really feel the need that we have to invest in and maybe
10 increase the borrowing for. And like you, Jim, I'm
11 inclined not to carry debt for longer that we need to,
12 and I think, again, five years is going to be
13 questionable in the eyes of the AG maybe or they'd have
14 concerns about it. I think when we talked about it with
15 them and they seemed very comfortable with them with four
16 and it seemed to a fairly reasonable proposition given
17 the amount off that we're talking.

18 MR. MacINNES: And there's no interest.

19 MR. DINKGRAVE: Right, that's what I was
20 thinking, I can't get this kind of deal.

21 MS. WILSEY: Well, we didn't know there
22 was a debt to begin with.

23 MR. DINKGRAVE: Given that, given this is
24 the reality of the situation, then yes, we do have debt,
25 how do we handle it, so I would be supportive of four

1 years, while trying to balance, like you said, the very
2 reason we're here, trying to maximize the dollars we do
3 have during that time.

4 MR. MacINNES: Michelle.

5 MS. WILSEY: One perspective on the
6 reason that you're here, the cost-of-service cases coming
7 up right now have caused a great deal of austerity in the
8 traditional PSCR cases, whereas next year, even though
9 we're cutting back, there probably aren't cost-of-service
10 proceedings, at least newly initiated ones, and
11 therefore, there actually will be more money available
12 for the traditional PSCR cases even with the pullback.
13 So you're kind of balancing austerity driven by new
14 legislative cases, and the hit is going to the
15 traditional Act 304 cases; next year, while there will be
16 less funds, more of those funds will be targeted to the
17 traditional cases.

18 MR. MacINNES: A lot more actually.

19 MS. HAROUTUNIAN: Yes. Okay.

20 MR. MacINNES: And that was kind of a
21 special circumstance, and I think that with the
22 legislation and everything, I mean the Governor's office
23 and the legislators wanted that, wanted us to be at the
24 table; not everybody did, but most did.

25 MS. HAROUTUNIAN: Can that translate into
Metro Court Reporters, Inc. 248.426.9530

1 any more money from somewhere to accommodate that need?

2 MR. MacINNES: I don't know. I don't
3 know. You know, we've explored this with the AG's
4 office -- well, with Valerie and I made some other
5 outside contacts with some people that have been involved
6 with the board with Act 304, and my sense of it is that
7 it's, the way it is is what was outlined by Michael
8 Moody, that's the reality. I haven't heard anything
9 different from that. In terms of more money, I mean we
10 could go ask the AG this if they'd grant us some money.
11 That would be nice.

12 MS. HAROUTUNIAN: No, but I wasn't
13 thinking of the AG. Other -- the legislature wants this,
14 the Governor wants it.

15 MR. MacINNES: Well, it's already been
16 funded, it's a one-time, we did it, it's been funded.

17 MS. HAROUTUNIAN: But out of our regular?

18 MR. MacINNES: Right.

19 MS. HAROUTUNIAN: Well, we need -- we're
20 in a bad spot at this point.

21 MR. MacINNES: I know we are.

22 MS. HAROUTUNIAN: I mean it depends on
23 what people want.

24 MR. MacINNES: Right. I don't know of
25 any other funding mechanism offhand. I don't know.

1 Michelle, do you?

2 MS. WILSEY: There was just some
3 discussion about, you know, maybe down the road when they
4 take up the energy legislation and review it, maybe it
5 will be a point of discussion. But even if more funding
6 was requested, there isn't -- there isn't a process under
7 way that would do anything for this year.

8 MR. MacINNES: Yeah, this is done. I
9 kind of look at this as that cost of service, that's a
10 done deal, we're going to be in the case and --

11 MS. WILSEY: I just mean in general, our
12 fund, the board's funding has been determined months ago
13 for this year, so what we're drawing from in future years
14 maybe, but this year, not so much.

15 MS. HAROUTUNIAN: Well, okay, if you say
16 future years, if we have incurred the part of the deficit
17 based on the COS cases, what about in terms of helping us
18 pay back the AG, if there can be some help with that
19 based on this one-time event that the, both the
20 unexpected debt, and really faultless debt that we got,
21 and the imposition of these cases on us and the
22 requirement really that we have to do these cases, well,
23 based on that, maybe we need -- it's not like we need a
24 ton of money. We need a little bit more from somewhere
25 else to help make us even and be able to keep moving.

1 MR. MacINNES: Well, \$250,000, the cost
2 of the COS cases, would go a long way.

3 MS. HAROUTUNIAN: It would, yeah.

4 MR. MacINNES: I agree with you.

5 MR. DINKGRAVE: Is there any precedent
6 for supplemental appropriation for this board's use, do
7 we know?

8 MS. WILSEY: Supplemental appropriations
9 are --

10 (Multiple speakers.)

11 MS. WILSEY: But from where, though?

12 MS. HAROUTUNIAN: Well, the legislature
13 would have to appropriate it from the general fund,
14 whatever.

15 MR. MacINNES: Well, we could certainly
16 approach, you know, the Governor's office and see if
17 there's anything they might. You know, I've done that
18 once, and I haven't heard any --

19 MS. HAROUTUNIAN: Is there any advantage
20 to approaching it legislatively, or is that not
21 worthwhile?

22 MR. MacINNES: I don't know. I don't
23 know how forthcoming the legislature would be and how we
24 would -- you know, we'd probably need to talk -- the AG
25 is our lawyer, right, so we probably need to talk with
Metro Court Reporters, Inc. 248.426.9530

1 their offices and ask them.

2 MS. WILSEY: I think a lot of this
3 advocacy comes from the groups that use this fund to
4 advocate in the cases, so I think the burden of making
5 the case that there isn't adequate funding for consumer
6 representation in these cases comes from the consumer
7 representation groups that want to be there. I don't
8 know that it's even the board's role, other than
9 providing the information and maybe saying, we don't have
10 sufficient funds to meet this obligation based on X, Y
11 and Z; then the question is what advocacy is or isn't
12 getting accomplished as a result, and what additional
13 resources are.

14 MS. HAROUTUNIAN: And so all of you would
15 have to talk to people, too.

16 MS. WILSEY: So I think that's where, for
17 example, the legislation that was passed that allowed for
18 Utility Board funding to be used in these cases, did that
19 come from this board? Were you advocating for it? Were
20 you? Were you? Were you? No. Somebody did. It
21 wouldn't just materialize. So there are people out there
22 with interests, and they would pursue that, just like
23 they did in that instance.

24 MR. MacINNES: Well, no matter, I mean
25 that said, good idea, maybe there is a way to get some

1 additional funds, but I think today we have to, --

2 MS. HAROUTUNIAN: To deal with what we've
3 got.

4 MR. MacINNES: -- we've got to deal with
5 reality here. So we need to figure out, first of all,
6 what's the, I think what's the right time period.

7 MS. HAROUTUNIAN: Four years.

8 MR. MacINNES: You're good with the four
9 years?

10 MS. HAROUTUNIAN: Yeah.

11 MR. MacINNES: That works for me, I think
12 four years would be fine.

13 MR. ISELY: Four years starting when,
14 this year or next year?

15 MS. WILSEY: No, next, fiscal year '16
16 funding.

17 MR. MacINNES: Yeah, '16, so it would be
18 October of next year.

19 MR. ISELY: So under those conditions, if
20 you wanted to even the pain across all the years, it's
21 coming out to, quick calculation, about 450 a year,
22 assuming the sort of growth that they've been talking.

23 MR. MacINNES: So but let's say -- now
24 let's start with what we owe here.

25 MR. ISELY: Right.

1 MR. MacINNES: So we owe 220 --

2 MR. ISELY: Right.

3 MR. MacINNES: -- divided by four.

4 MR. ISELY: See, I'm including in this
5 year a little bit.

6 MR. MacINNES: So that's 55 -- so right
7 now, where we're at, if we don't fund anything, we have
8 something like 35,000 yet, that would be 55,000 a year,
9 Which would be about, let's see, 10 percent, 9 1/2
10 percent of what we would get in a typically -- so I think
11 one of the questions is, you know, how much of what we
12 get each year are we willing to take away and put into
13 debt service. That's the next question.

14 MR. ISELY: That question comes from the
15 primary cases that we're supposed to be involved in, and
16 if we look historically at those cases, there's a dollar
17 amount there.

18 MR. MacINNES: Right.

19 MR. ISELY: And I haven't fully
20 calculated that, but it tends to be in that 4 to 500,000
21 range. Am I right?

22 MS. WILSEY: Yeah. I'm -- yeah. I would
23 have to go back and look, because I'm not clear if you
24 consider, for example, the federal case funding as
25 traditional or not. Okay. Because we've spent a lot

1 more than that, and rate cases come up and special
2 proceedings come up, and energy optimization, so I'm not
3 sure what's in that bucket. That bucket's grown. And
4 I'm still -- I'm not quite sure of the math, because if
5 we have 574 and then project it at 580 and we take the 55
6 away, I just come a little north of 450. So am I wrong?

7 MR. ISELY: I wasn't looking at the 220,
8 I was looking at 220 and then spending 400 beyond the COS
9 case this year. All right. So that put us -- that puts
10 us -- that adds something more this year. So when I do
11 it, in order to do, to smooth it this year plus the next
12 four years, it comes in to about 450 a year.

13 MR. MacINNES: So maybe what we need to
14 do for now, or for the next meeting, is maybe do some
15 analysis of that, maybe, if that's something you can help
16 with --

17 MS. WILSEY: Sure.

18 MR. MacINNES: -- Michelle, and any of
19 the board members, taking a look at what have we
20 historically done without these special situations. Just
21 kind of give us a ballpark. So, you know, because we can
22 always change this, we can change our decision the next
23 time if we want to, you know.

24 So if we do that, we've really got one
25 case here we're talking about. Well, I guess we have

1 others that can come up. But what -- and I think, again,
2 it kind of gets back to, at this point knowing what we
3 know, how far do we want to go in, what are we willing to
4 spend out of that 500, let's say it's 575, to -- that's
5 the total, though, right? That includes the
6 administrative and the --

7 MS. WORDEN: No, that's just the board.

8 MR. MacINNES: That's what we can spend?

9 MR. ISELY: Yeah.

10 MR. MacINNES: 575, okay.

11 MR. ISELY: Can I just sort of note that
12 given what he said he needed to get through February, to
13 get to February was within what we already have to spend,
14 that we can probably deal with this and then have this
15 discussion at the start of February and have the extra
16 data in hand.

17 MR. MacINNES: Yeah, that's right.

18 MR. ISELY: And so we can bridge
19 ourselves there --

20 MR. MacINNES: That's a good idea.

21 MR. ISELY: -- pretty quickly, but I
22 don't want to do that and -- I don't want to do that if
23 we're not amenable to spending the next chunk.

24 MS. WILSEY: Right, yes.

25 MR. MacINNES: Well, but you'll know a
Metro Court Reporters, Inc. 248.426.9530

1 lot more, I mean -- and the next chunk is -- I mean I
2 guess we'd have to see what the success possibilities are
3 for the next chunk. But I think that would be a
4 reasonable --

5 MS. WILSEY: But the difference
6 between -- if I'm hearing you and you're suggesting we
7 grant the 35,000 today, let them get to work, the minimum
8 is 60, so we'll consider the other 25 north of that if
9 the cases demand it, that you're open to that case, you
10 know, at least the minimum scenario, and then do you want
11 the PSCR reconciliations also considered at that meeting
12 so that you kind of have a better idea of the total?
13 Would you guys be able to do that?

14 MR. ISELY: I think we'd appreciate
15 seeing all that at one shot because we're at a zero sum
16 game at this point.

17 MR. MacINNES: I think the key is at the
18 next meeting to really have some handle on what's the
19 normal level that, you know, everybody can live with.
20 And David, my sense of what you said was to get you
21 through February would be 20 or 25 percent of the total?

22 MR. SHALTZ: That's correct.

23 MR. MacINNES: So if you had 109, let's
24 say 25 percent of that is 27.

25 MS. WILSEY: 270.

1 MR. MacINNES: Or maybe we could just
2 says 25, because you said 20 or 25 percent --

3 MR. SHALTZ: That's fine.

4 MR. MacINNES: -- and would get us
5 going --

6 MR. SHALTZ: Yep.

7 MR. MacINNES: -- and then we'd still not
8 be borrowing any more and we'll have time to consider, do
9 a little more homework, and you and I should probably
10 talk some more.

11 MS. WILSEY: And Paul.

12 MR. MacINNES: Yeah, and Paul, the
13 economist, to help us. So I think that sounds like a
14 plan.

15 MR. SHALTZ: That sounds good.

16 MR. MacINNES: And no use making a
17 decision any sooner than you have to.

18 MS. HAROUTUNIAN: That's right.

19 MR. MacINNES: Okay. Do we have a
20 motion, then, to proceed on this grant request?

21 MS. HAROUTUNIAN: So moved.

22 MR. MacINNES: So moved. We have a
23 motion to fund \$25,000 at this point and revisit the
24 whole situation at the next, at the February meeting?

25 MS. HAROUTUNIAN: Yes.

1 MR. MacINNES: Is there support?

2 MR. DINKGRAVE: Support.

3 MR. MacINNES: Is there anymore
4 discussion? Okay. All those in favor, please signify by
5 saying aye.

6 BOARD MEMBERS: Aye.

7 MR. MacINNES: Opposed, same sign.

8 Okay. That takes care of that for now,
9 but we have more homework to do.

10 Okay. Moving on, the next item was the
11 schedule for the meetings, which I have here somewhere.
12 Okay. So we have a proposed schedule for the meetings.
13 Has everyone had a chance to review that? Do we have a
14 motion to approve that?

15 MR. DINKGRAVE: So moved.

16 MR. MacINNES: Do we have support?

17 MR. ISELY: Support.

18 MR. MacINNES: Any discussion? Okay.

19 Hearing none. All those in favor, please say aye.

20 BOARD MEMBERS: Aye.

21 MR. MacINNES: Opposed, same sign.

22 Okay. So let's --

23 MR. ISELY: Is that the end of our votes?

24 MR. MacINNES: That's the end of our
25 votes.

1 MR. ISELY: Then I'm going to apologize
2 and excuse myself.

3 MR. MacINNES: Okay. Well, you were here
4 for the important votes and discussion.

5 MR. ISELY: I apologize for leaving
6 early.

7 MR. MacINNES: Okay. Grantee reports.
8 Let's see. You're representing CARE?

9 MR. JESTER: IEI and CARE.

10 MR. MacINNES: Okay. Why don't you start
11 us off.

12 MR. JESTER: Institute for Energy
13 Innovation was funded to participate in the 2014 PSCR
14 cases for both Consumers and DTE. It took a bit of
15 wrangling, just a reminder, but we did wind up in those
16 cases. We submitted testimony in both of them really
17 around two issues: One is that the utilities have the
18 opportunity to do more energy efficiency than they are
19 required to do during the energy optimization program,
20 and that doing so would be at lower cost than the cost of
21 the power supply expenses that the companies otherwise
22 incur. In fact, right now the cost of energy efficiency
23 is less than the cost for just the fuel, not even
24 speaking to the capital investment. And then secondly,
25 that the companies have the opportunity to use load

1 management measures, and we picked particularly something
2 called conservation voltage regulation, to reduce power
3 consumption and, therefore, power supply costs.

4 MR. MacINNES: Is that kind of like
5 having lower water pressure at your house and you'll use
6 less water in the shower?

7 MR. JESTER: It is like that, but it's
8 only by a couple of percent at selected times. So we put
9 in testimony on those. In the DTE case, I was cross-
10 examined, and we're now into the sort of wrap-up stages
11 of these cases.

12 Perhaps most important is that Consumers
13 asked the ALJ to rule that testimony wasn't germane to
14 these kinds of cases, trying to argue that it's really
15 only the, sort of the cost of operating power plants that
16 count, and the ALJ decided against them in favor of
17 considering the testimony, and they've now appealed it to
18 the Commission.

19 One of the things we were trying to get
20 at was really the sort of fundamental question of, you
21 know, do things that the companies ought to be doing but
22 are not, are they eligible to be considered here, and can
23 we get some attention to them. So it looks like we're
24 going to litigate that. So no answers yet, but that's
25 where things are.

1 And then on behalf of CARE, we're
2 operating with two grants this year, one was a bit of a
3 catch-all, there's some funds to be spent on the smaller
4 utilities, the PSCR cases on the smaller utilities, and
5 you left a lot of discretion to CARE on how to allocate
6 that. I'm not completely current on, you know, the
7 decisions there, but I do want to tell you that the
8 Attorney General has engaged Ken Rose and Bob Burns, a
9 couple of the people who normally work for CARE, to be
10 involved in the complex set of cases involved with the
11 SSR payments and the other high costs in the Upper
12 Peninsula, and they've had some success in getting FERC's
13 attention. Because of the work that they and the
14 Attorney General did, the burden of proof has shifted a
15 bit from us to the companies on the cost allocations
16 there. We're still many months from resolution, but I
17 think that's a good thing. And then in conjunction with
18 that, we've started to see in the PSCR cases from the
19 utilities that are affected requests based on these
20 allocations of costs or request to increase rates. So
21 those are all still a ball of yarn and still being worked
22 through.

23 And then finally, you granted a small
24 amount for us, principally me, to engage in MISO-related
25 activities. I was a little bit late today because I was

1 on a conference call with the public consumer
2 representative sector about an upcoming discussion that
3 will be held by the principal MISO committees, planning
4 advisory committee and market subcommittee, on demand
5 response. In each of those meetings they identify a hot
6 topic and ask all the sectors to contribute, and that is
7 the hot topic for December. A lot of moving parts in
8 that, there's one that I want to mention to you just to
9 flag for your future consideration.

10 MISO allows load management resources
11 that were mentioned earlier to participate in the various
12 markets. Amongst those are programs that we typically
13 have here in Michigan, interruptible power supply
14 programs, where other ratepayers essentially incur the
15 cost of discounted rates for the customers who are able
16 to participate in those. It's appearing that there are
17 pretty week sort of measurement and verification programs
18 or elements of these programs to ensure that, if called
19 upon, we will indeed get the response that's been
20 promised, and that's a matter that we probably should be
21 paying attention to within the state rate cases, general
22 rate cases.

23 MR. MacINNES: And that's been a concern
24 of the utilities, right, that people won't really deliver
25 the goods?

1 MR. JESTER: Yeah. Yes.

2 MR. MacINNES: Okay. Any questions of
3 Douglas? Thank you.

4 How about if we go to Chris for the
5 Michigan Environmental Council.

6 MR. BZDOK: Certainly, Mr. Chairman,
7 members of the board. Christopher Bzdok on behalf of
8 MEC. I have a lot I could talk about, but I know you
9 have a long -- you've had a long meeting already.

10 So we had the Consumers 2014 PSCR plan
11 hearing recently; I'll give you the rundown on that. I
12 could give you a preliminary read on the 2015 PSCR plan
13 cases for Consumers and DTE, I have new data on renewable
14 energy. We are tentatively -- well, we are proposing,
15 CARE and MEC, to give the board if you would have time on
16 your February agenda a detailed update on the cost-of-
17 service cases, including a presentation --

18 MR. MacINNES: That would be great.

19 MR. BZDOK: -- with questions and
20 answers. I think that because those are a different,
21 those are a different category of cases than we've had
22 before, it's just going to be longer than a grantee
23 report, so we propose to do it as board education if the
24 board was amenable to that. So really it's a matter of
25 what else, what else do you want to talk about?

1 MR. MacINNES: What do you think is the
2 most important for us to hear?

3 MR. BZDOK: Let me tell you a little bit
4 about the PSCR plan cases, the new ones, what we're
5 seeing there.

6 One of the things -- and a lot of these
7 are evolutionary or organic in terms of, you know, issues
8 that we've been talking about and how are we seeing them
9 develop. One of the things that we've talked about is
10 the use by both utilities of sorbents, we've talked about
11 DSI and ACI for mercury, to deal with mercury and to deal
12 with acidic gases, things like sulfur dioxide, and that
13 on a number of the older plants, including Campbell 1 and
14 2 for Consumers, and including a number of the DTE units,
15 River Rouge, Trenton Channel, St. Clair, they are, rather
16 than putting in very high capital cost scrubbers, they
17 are proposing to use DSI to try to achieve compliance
18 with some of these new emission limits, some of the
19 things that Laura and Carmen had up here, and that that
20 was -- that would add a higher PSCR cost on the one hand,
21 and also, we believe they are presenting to the
22 Commission very optimistic scenarios about the costs of
23 those sorbents, the amounts that will need to be used,
24 the amounts of pollution that will be reduced by using
25 them, and the other complications that may ensue with

1 operation of the plants, et cetera, from those sorbents.

2 Yeah.

3 MS. HAROUTUNIAN: What kind of
4 complications?

5 MR. BZDOK: There are some issues between
6 the use of REF fuel and the use of DSI, for example,
7 that's one complication. Another complication has to do
8 with part of the DS -- part of the strategy of using DSI
9 to reduce sulfur dioxide and acid gases requires the
10 utilities to burn ever more western coal and ever less
11 eastern coal, because the eastern coal, which has the
12 higher heat content, has more sulfur. So they burn the
13 more and more western coal, right, and they've --
14 Consumers, for example, has converted Campbell 1 and
15 Campbell 2 so that it can -- Campbell 2 I know so it may
16 burn 100-percent western, and when you burn all western,
17 you have a lower total capacity --

18 MR. MacINNES: Heat rate, too.

19 MR. BZDOK: Yep, lower heat rate, lower
20 total capacity, some higher costs, and this DSI plan
21 depends upon doing that. Now, Consumers in cross-exam in
22 the plan case last month, their fuel witness disclosed
23 that they are having a very hard time getting western
24 coal this year, and this was actually in a cross-exam of
25 a testimony that, where he was saying we need to use, you

1 know, these spot replacement prices for dispatching
2 because we need to keep bidding the coal plans in because
3 we need to keep burning the coal because there's just
4 always more and more coal coming in and you can't breach
5 your contracts. Well, we got an hour and a half into
6 that and all of a sudden the October surprise was, well,
7 we're actually million short this year, which one issue
8 is then you really don't have a big problem getting rid
9 of coal, you have a problem getting coal. Obviously it's
10 an unusual year. But the plan case for 2015 says they
11 are having difficulties getting western coal, so they are
12 going to probably have to rely more on eastern coal.
13 Well, the DSI plan requires western, and now you can't
14 get western because of weather and because of the back-in
15 crude oil and all of the other things that are going on,
16 so now you got to go back to eastern and you really run
17 into sort of a thorny situation here. So I mean those
18 are a couple of examples.

19 MR. MacINNES: So we should clarify that
20 with the western coal, it's lower efficiency, higher heat
21 rate?

22 MR. BZDOK: Yes, lower efficiency --

23 MR. MacINNES: Lower efficiency, higher
24 heat rate.

25 MR. BZDOK: -- higher heat rate, which

1 is -- yes, you're absolutely right, which is, higher heat
2 rate is less efficient and, therefore, more expensive.

3 So that's a major issue in the Consumers
4 2015 plan is how do the plans you've been advocating for
5 DSI and this lower capital cost way of trying to sustain,
6 you know, extend the lives of some of these units is now
7 running into the fact that you're now planning on solving
8 your transportation problems for western coal by buying
9 more eastern. And these are preliminary observations. I
10 don't have any answers for you, we haven't sent out any
11 discovery, the prehearing is on Wednesday, but those are
12 major issues for the eastern.

13 DTE, this continued relationship between
14 DSI and REF and the complications there, how are they
15 dealing with this one-hour -- you know, one of the slides
16 here was the NOx for one-hour sulfur dioxide limits, a
17 portion of Wayne County has been declared nonattainment
18 for sulfur dioxide, that portion includes River Rouge and
19 Trenton Channel. And then there are questions of can you
20 use enough DSI to meet your obligations to reduce your
21 sulfur far enough that are being driven by this
22 nonattainment area. They confirmed in 2015 the
23 retirement of Trenton Channel 8 and the retirement of
24 Trenton Channel 7 in 2016, which is something we talked
25 about in the fall. We also talked about how Trenton

1 Channel 9 had some relationship to those units because of
2 the ring where they use excess steam and excess power,
3 there's going to be a 50-megawatt derate of Trenton
4 Channel 9 as a result of the retirement of these other
5 two units, which is good; there's going to be a
6 45-megawatt derate of River Rouge because of needing to
7 use lower sulfur coal to comply with the one-hour NOx.
8 On the bright side, there's 98 megawatts of more wind
9 coming in 2016, 4 megawatts of more solar, expanded
10 capacity of the Ludington pump storage, so there's some
11 other resources coming in to offset some of these other
12 problems.

13 The other big news in, two pieces of big
14 news on the DTE side is an announcement in the plan that
15 they are working with a company called Spectra Energy to
16 develop a new gas transmission pipeline to bring
17 Marcellas shale gas from eastern Ohio up to Michigan, and
18 that may be related to potentially a plan to build a
19 combined-cycle plant by DTE for natural gas, it may be
20 related in part to DTE's recent announcement that they've
21 purchased the 700-plus megawatt simple-cycle Renaissance
22 plant, which is one of the plants that was for sale in
23 the Consumers IRP proceeding, so that's an independent
24 power producer simple-cycle plant. So that -- and then
25 that's going to be a firm transport agreement to bring

1 this gas in from eastern Ohio. So how is that going to
2 deal with PSCR coal use; to what extent are they going to
3 burn gas because they simply have to burn as under these
4 firm commitments; how does that all relate to everything
5 else that's going on? Those are going be issues that are
6 explored in this case potentially. And how does this
7 Renaissance plant fit into the PSCR, because it's
8 supposed to be completed first quarter of 2015. So
9 you've got 700 megawatts of new simple-cycle that's under
10 company ownership, how does that relate to what you're
11 doing on the PSCR side, and also how does it relate when
12 we get to February on the cost-of-service side, because
13 in the press that they've sent out about the simple-cycle
14 plant, one of the things DTE is sort of triumphing is
15 simple-cycle plants are a really cheap way to add
16 capacity for our peaks. Well, if you can add capacity to
17 meet your peaks on the cheap, but you're going to sock
18 the residential for your capacity cost of generation
19 entirely based on peak, which includes all of your
20 expensive base load, you know, these are issues that,
21 these are going to be major issues in the cost-of-service
22 cases, and we'll present all that, we don't have any of
23 that yet, you know, but these are things that are going
24 to come up.

25 MR. MacINNES: How about the must-run

Metro Court Reporters, Inc. 248.426.9530

1 status of the coal plants, the automatic must-run --

2 MR. BZDOK: Sure, I can --

3 MR. MacINNES: -- and the PROMOD and all
4 that stuff that you're doing?

5 MR. BZDOK: Yep, yep. Can I use the
6 board?

7 MR. MacINNES: Sure.

8 MR. BZDOK: You'll indulge me for another
9 minute. So as you know, the board funded last year and
10 this year us to work on the PROMOD piece, and we've
11 talked -- and I've sent you detailed information about
12 DTE already last year, and so we did it with Consumers
13 this year. And we did modeling that said if you remove
14 what our consultant called unprofitable must-runs, so he
15 said, he agreed tentatively that just cycling all the
16 coal units all the time is not economical, but he said,
17 you can look and you can look at units that are modeled
18 as being uneconomic for month-long periods in the plan
19 year and in the five-year forecast, and if you designate
20 those units in those months as economic, you can save
21 money, and which makes sense. If I can look at -- if I'm
22 selling anything and I can look out five years and I know
23 what I'm going to get in revenue and what my costs are
24 going to be and I decide I'm not going to sell or I'm
25 only going to sell if prices rise that month or my costs

1 lower than month, overall I'm going to be better off
2 revenue wise, so it's not counterintuitive, and he was
3 able to put some numbers on that, and it was -- I don't
4 have the numbers off the top of my head, but I think it
5 was like a million 8 in the plan year and 8 or 9 million
6 over the five-year forecast. And I may have my cases
7 confused, but these are the kind of, you know, scales
8 that we're talking about. Just by saying on months when
9 we are projecting, based on our own modeling, we didn't
10 do any variables, just on our own modeling we're
11 projecting these are going to be uneconomic, you can save
12 some significant money; and the Company came back and
13 said, well, we reran your model and you had this flaw and
14 this flaw and this flaw, and some of those are germane
15 and some of them are not, and we ran the model with these
16 corrected, and it's actually, your PSCR costs, your total
17 PSCR costs are actually lower if you must-run the units
18 all of the months, all of the months in the out years of
19 the forecast, so the out years in the five-year forecast,
20 not the plan year. So by selling at a loss every
21 month -- by must-running even the months when you're
22 selling at a loss, you're actually going to save money
23 for customers, which makes no sense. I mean intuitively
24 it makes no sense.

25 And what we think is happening, and we've

1 briefed all of this, so this is not any secret, what we
2 think that what's happening is when they model the system
3 costs, what the Company does is they, they project a
4 revenue, and the revenue -- well, it's not just a
5 revenue, they -- they do not project a revenue, excuse
6 me, they project an LM, they project a locational
7 marginal price, and that locational marginal price, you
8 know, kind of goes up and down, you know, peak and off
9 peak, et cetera, et cetera, and then based on the LMP and
10 the expected dispatch costs for the plant, which include
11 this fictional replacement spot cost, which is not what
12 they're really paying on the coal plants, they have a --
13 they can say, well, these are the resource that are
14 dispatching at any particular given interval and time and
15 it's the resource that are clearing the LMP.

16 So I mean one resource is dispatching
17 here and one is dispatching here and one is dispatching
18 here, and that's how all the Company -- and that
19 generates a projection of energy by the Company, that's
20 being generated by company-owned assets. And they are
21 also projecting a demand over all the same time intervals
22 for a load for the Company's customers. So they are
23 projecting a load and they're projecting an energy
24 generation, and then they are projecting a cost, a total
25 cost to provide that energy so the cost of providing the

1 energy from the units they're dispatching for the amount
2 of that time that they're dispatching. And then what
3 they produce is -- and then there's a difference, there's
4 a delta always between, I mean almost always between the
5 load at any particular given interval that they're
6 serving and the generation that they're generating,
7 right, so they're either generating more than their load
8 or they're generating less than their load, and if
9 they're generating more than their load, then they record
10 a purchase. Sorry. If I they're generating less than
11 their load, they record the difference as a set of
12 purchases at the market price in that interval; and if
13 they're recording less -- if they're generating less
14 than -- if they're generating more than their load, they
15 record sales for the amount of generation over their load
16 at the price.

17 MR. MacINNES: And that's to MISO --

18 MR. BZDOK: Yes. System sale, just
19 market sales, right.

20 MR. MacINNES: Market sales.

21 MR. BZDOK: And then they go -- and so
22 they get all this information and they figure out, well,
23 how much energy do we generate, what was our load, what
24 were the costs of generating that energy, and they sum
25 that all up, right; and there's fuel, and there's -- I

1 mean there's just all these costs, right, and all of
2 these costs to meet the generation. And then one of the
3 costs is the net sales, you know, purchases and sales,
4 how do they net out, and there's some cost to that, and
5 that cost is in the, for a plan year, it's like \$15
6 million, right.

7 MR. MacINNES: Is that a cost or a
8 benefit?

9 MR. BZDOK: It's a cost. Well, it's a
10 net cost of sales. Basically they're buying -- they're
11 buying year-in and year-out more than they're selling,
12 right. So and then they add up all these costs. So
13 yeah, net sales cost. I don't have the sheet in front of
14 me, I'd be using more accurate terms if I did. And they
15 all -- and that's a total PSCR cost.

16 What's really important here is, and we
17 think, is that's not how they operate their system,
18 that's not how they operate in the market. In the
19 market, they sell all their energy in and they buy all
20 their energy out. Right. They sell the energy from
21 their plants in and they buy energy, including the energy
22 from their own plants, back out, which is why we think
23 that the unit-by-unit profitability, or net energy value
24 they call it, is important. But they don't think it's
25 important because they don't model their system costs

1 based on the profitability of the units, how much at a
2 given interval are they spending to generate power versus
3 how much are they getting back. So because they only buy
4 when they don't have enough generation to meet their
5 load, and they consider this separately, if you must-run
6 units, you're always going to generate more, and so
7 you're always going to buy less, which is going to say
8 your net purchases and sales is going to be lower if it's
9 this separate little line item that covers what's left
10 over at the end.

11 And I don't know, I don't know how the
12 profitability of individual units washes out in the sum
13 of all the sales, but this is a key difference -- by
14 treating their system sales as what's left over after
15 they've met their load, and modeling that as a separate
16 expense, that's what we think is driving this result that
17 if you must-run units even when they're unprofitable, you
18 still have lower total PSCR costs because you have lower
19 net system sales costs; but if you're actually modeling
20 where you're selling it all in and you're buying it all
21 out, those are going to be negative months, those are
22 going to hurt your system costs, we think.

23 And so this is kind of, this lack of --
24 so the cost of doing the must-run versus not and then
25 this apparent difference between the way they're modeling

1 it and the way they do it is these are the central issues
2 on the must-run in the Consumers case as of right now,
3 and that's sort of current through the cross-examination
4 of the modeling witness a few weeks ago.

5 MR. MacINNES: So when do you think
6 you'll get a resolution of this or flesh it out?

7 MR. BZDOK: Well, we've submitted initial
8 briefs and then we'll have reply briefs, and we'll see
9 what the ALJ does with that.

10 MR. MacINNES: Complicated.

11 MR. BZDOK: Yep, yep. So that's the
12 latest on the modeling. It's been very, very
13 interesting, and we think productive.

14 MR. MacINNES: Okay. Sometime you and I
15 should talk about that a little longer --

16 MR. BZDOK: Okay.

17 MR. MacINNES: -- because it's kind of
18 confusing, I got to say, at least to me.

19 MR. BZDOK: Happy -- that's why my first
20 question was how long do you want to spend.

21 MR. MacINNES: Yeah. That's a
22 complicated one. I'd like to think that through some
23 more. But I'm glad you're on it.

24 MR. BZDOK: Happy to -- any time the
25 board wants to go into deeper depth on that stuff, we're

1 happy to do that.

2 MR. MacINNES: Okay. Well, we're kind of
3 running short of time here, and I mean we like to try to
4 get out of here by 4:00 if we can, or a little after. So
5 maybe next time we could talk about cost of sales and --

6 MR. BZDOK: Yeah, yeah.

7 MR. MacINNES: It was nice to get that
8 MISO update, but it was a -- it ran quite a bit, but it
9 was very informative, and we only does that once a year.

10 So Don.

11 MR. KESKEY: Yes. I'll be very, very
12 quick. And thank you for the opportunity.

13 On behalf of GLREA and under the board's
14 2014 grant, we've been involved in Consumers Energy's
15 2014 PSCR plan case, which is U-17317; and in that case
16 Consumers fought our intervention very hard, however, the
17 ALJ granted the intervention and Consumers appealed to
18 the Commission and the Commission issued its order in
19 March of 2014 determining that GLREA had a right to
20 intervene by right, not just permissive, but by right.
21 The case went on to hearings; in fact, the hearings were
22 held during the period of October 21 to 23, and briefs
23 have been filed. The initial briefs were filed last, I
24 think it was November 21, and there will be reply briefs,
25 and then the administrative law judge will determine the

1 issues.

2 But in that case we presented testimony,
3 which Consumers also filed a motion to strike all of our
4 testimony and exhibits, but that was also denied by the
5 administrative law judge and is subject to the full
6 briefing. But in that case, as I've indicated before,
7 our testimony went to the fact that the five-year plan
8 forecast by Consumers was flawed and deficient and
9 incorrect because they are projecting either flat or
10 declining contribution of solar energy to their mix of
11 power sources, and we believe for many reasons cited in
12 our testimony that that's wrong, and that solar energy
13 has some -- becoming extremely more economic in terms of
14 the difference between cost and benefit, and that the
15 forecast is an error as a result and that it should be
16 required to be modified in future cases.

17 In the companion case of DTE Electric
18 PSCR plan for 2014, which was U-17319, again, Edison
19 challenged our intervention before the ALJ and the ALJ
20 granted the intervention and Edison did not appeal that
21 determination. We filed testimony in the Edison case
22 tailored to their five-year forecast, which suffered the
23 same maladies and the same problems as Consumers Energy
24 in forecasting a flat or declining contribution to solar
25 energy, and presented similar reasoning and remedies to

1 address that. In that case, the hearings have been held,
2 the briefs have been filed, and we're waiting for a PFD
3 from the ALJ.

4 In the new cases under the new grant,
5 2015, Consumers Energy, U-17678, we have filed our
6 intervention, the prehearing I believe is Thursday,
7 December 4, and I don't know whether we're going to have
8 another fight on intervention or not, but I think with
9 the precedent issued by the Commission itself, that it
10 would be, I guess if I were Consumers Energy, I would not
11 challenge the intervention. That schedule will be set at
12 that prehearing.

13 In the other case, DTE --

14 MR. MacINNES: Excuse me, Don. How did
15 they argue against your intervention, what was the
16 thinking?

17 MR. KESKEY: Well, there was a number of
18 things. Number one is they're trying to say that we're
19 advocating to dictate to Consumers Energy to increase the
20 amount of solar energy in the system, and we're saying,
21 no, we -- what we're pointing out is that your plan and
22 forecast are deficient and flawed because it doesn't
23 match reality for a number of reasons. And also, they
24 had indicated, well, you're really a trade group. Well,
25 actually the organization consists of a lot of individual

1 ratepayers of Consumers Energy and meets all the tests
2 under the Commission's two-prong test for having standing
3 to intervene. Then they say, well, you know, you're just
4 going to go on a fishing expedition; we said, no, that
5 it's going to be focused on these issues, and that's what
6 we followed through on. We had substantial discovery,
7 but it was tailored specifically to the issues that we
8 are proposing.

9 MR. MacINNES: So to follow this through,
10 I mean where is this going to go? You know, you've been
11 granted intervention, you've said, hey, you know, your
12 model doesn't face up to reality in the world here today:
13 Where is it going to go from there?

14 MR. KESKEY: Well, if the Commission has
15 an opportunity to agree with us and to find that the
16 forecast of these two big utilities is flawed and that in
17 reality behind that flaw is perhaps utility intransigence
18 against looking into solar -- like at the last meeting, I
19 indicated I&M Power is going into a large solar program,
20 17 megawatts in the next two years, and they're going up
21 to a few hundred, I believe, and so, and they -- their
22 witnesses point out all the benefits and all the reasons
23 why they think this is the right thing to do. Well, if
24 that's the case, then why not Consumers Energy and DTE.

25 So as the Commission and the Governor and
Metro Court Reporters, Inc. 248.426.9530

1 others become more aware and interested in renewable
2 energy, the Commission would have the opportunity to tell
3 these utilities to have a more robust presentation of
4 their policies on solar and what they're going to do
5 about solar and what their plans are, and point out that
6 it should be fixed in the next case, the next cases that
7 will go along.

8 And the benefits of this economically is
9 that there's no question that solar has come down in cost
10 tremendously, that the public is increasing an interest
11 in it, that if you can have community solar where people
12 contributed to an entity to do this, that there's a
13 tremendous opportunity for solar to blunt the peak in the
14 summer months when the residential and other air
15 conditioning loads are at peak.

16 MR. MacINNES: Well, look what's
17 happening in California, right, they're doing it.

18 MR. KESKEY: And the initial presumption,
19 that oh, well, Michigan's climate is different, this is
20 not -- you know, that perception can be easily rebutted,
21 because during those four or five months in the summer
22 particularly you have real opportunities for solar. And
23 so I think solar is an opportunity to empower customers
24 to do more about their energy needs and costs, it is a,
25 sort of a movement away from a monopoly-captured model in

1 the sense that if companies or residential customers can
2 plan solar into their operations, that they are
3 independently then either paying less to the utility for
4 energy or they are contributing to the grid.

5 MR. MacINNES: Do you think this could
6 lead to Michigan really going through and identifying the
7 value of solar with these many different components that
8 make up the value of solar, having that be at least
9 discussed or considered?

10 MR. KESKEY: I think so. And to some
11 degree, it's happened. But Minnesota is really one of
12 the leaders on this value of solar in terms of interest
13 by the legislature and the commission and in their cases
14 and in their policies to address the value of solar and
15 start planning.

16 MR. MacINNES: I think they put a value
17 of something like 14.2 cents --

18 MR. KESKEY: That's correct.

19 MR. MacINNES: -- on it.

20 MR. KESKEY: And they had the components
21 of that.

22 MR. MacINNES: They break down all the
23 components and add the benefits of each component.

24 MR. KESKEY: So in the new DTE case,
25 U-17680, our intervention was granted at the November 25

1 hearing, and Edison this time did not oppose the
2 intervention. So we again will take a look at these new
3 cases and again build on the prior cases in terms of
4 trying to move the interest and remedies on solar energy
5 forward.

6 MR. MacINNES: Okay. Well, you've been
7 quite an advocate for that, and there was a question mark
8 when it started, but looks like you were able to be, to
9 intervene basically, so.

10 Okay. David.

11 MR. SHALTZ: We are currently in
12 discovery in the four GCR reconciliation cases, we're
13 developing testimony to be filed at the beginning of the
14 year. And what I'd propose is doing a brief review of
15 what that testimony is at your next meeting when I have
16 more conclusive stuff from my expert about what we're
17 going to be saying.

18 MR. MacINNES: Okay. Anything else?

19 MR. SHALTZ: No.

20 MR. MacINNES: Okay. The next item is
21 public comment. Do we have any public comment?

22 We have scheduled the next meeting,
23 Monday, February 2 at 12:30.

24 Do we have a motion to adjourn?

25 MS. HAROUTUNIAN: So moved.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. MacINNES: Okay. We're adjourned.

(At 4:10 p.m., the meeting adjourned.)

- - -

1 STATE OF MICHIGAN)
)
2 COUNTY OF MACOMB)

3 I, Lori Anne Penn, certify that this
4 transcript consisting of 139 pages is a complete, true,
5 and correct record of the proceedings held on Monday,
6 December 1, 2014.

7 I further certify that I am not
8 responsible for any copies of this transcript not made
9 under my direction or control and bearing my original
10 signature.

11 I also certify that I am not a relative
12 or employee of or an attorney for a party; or a relative
13 or employee of an attorney for a party; or financially
14 interested in the action.

Lori Anne Penn

17 December 16, 2014
18 Date

Lori Anne Penn, CSR-1315
Notary Public, Macomb County, Michigan
My Commission Expires June 15, 2019

19
20
21
22
23
24
25